COUNTY OF SUFFOLK



STEVE LEVY SUFFOLK COUNTY EXECUTIVE

DEPARTMENT OF PLANNING COUNCIL ON ENVIRONMENTAL QUALITY

R. Lawrence Swanson CHAIRPERSON

Michael Mulé SENIOR PLANNER

NOTICE OF PUBLIC MEETING

Notice is hereby given that the Council on Environmental Quality will convene a regular public meeting at 9:30 a.m. on Wednesday, December 8th, 2010 at Sagtikos Manor, Montauk Highway and Manor Lane, West Bay Shore, NY 11706. Pursuant to the Citizens Public Participation Act, all citizens are invited to submit testimony, either orally or in writing at the meeting. Written comments can also be submitted prior to the meeting to the attention of:

Michael P. Mulé Council on Environmental Quality Suffolk County Planning Department P.O. Box 6100 Hauppauge, NY 11788

Council of Environmental Quality R. Lawrence Swanson, Chairperson

COUNTY OF SUFFOLK



DEPARTMENT OF PLANNING COUNCIL ON ENVIRONMENTAL QUALITY

R. Lawrence Swanson CHAIRPERSON Michael P. Mulé SENIOR PLANNER

AGENDA

MEETING NOTIFICATION

Wednesday, December 8, 2010 9:30 a.m.
Sagtikos Manor
Montauk Highway & Manor Lane
West Bay Shore

Call to Order:

Minutes: check the web at

http://www.co.suffolk.ny.us/departments/planning/minutes.aspx#ceq

Correspondence:

Vector Triennial Report

Public Portion:

Historic Trust Docket:

Director's Report:

Updates on Housing Program for Historic Trust Sites Updates on Historic Trust Custodial Agreements

Project Review:

Recommended TYPE I Actions:

Recommended TYPE II Actions:

A. Ratification of Recommendations for Legislative Resolutions Laid on the Table December 7, 2010.

Recommended Unlisted Actions:

- A. Proposed Declaration of 95.3 acres of Industrial/Commercial Zoned Property surplus/offer for sale, Town of Brookhaven. Tabled from November 18th, 2010.
- B. Proposed Stormwater Remediation to the Yaphank Lakes and Carman's River at CR 21, Main Street/Yaphank Middle Island Road, Town of Brookhaven.

Other Business:

CEQ Meeting Schedule for 2011 Going Digital with the Minutes

CAC Concerns:

*CAC MEMBERS: The above information has been forwarded to your local Legislators, Supervisors and DEC personnel. Please check with them prior to the meeting to see if they have any comments or concerns regarding these projects that they would like brought to the CEQ's attention.

**CEQ MEMBERS: PLEASE NOTIFY THIS OFFICE AS SOON AS POSSIBLE IF YOU WILL BE UNABLE TO ATTEND.

***FOLLOWING THE MEETING PLEASE LEAVE BEHIND ALL PROJECT MATERIAL THAT YOU DO NOT WANT OR NEED AS WE CAN RECYCLE THESE MATERIALS LATER ON.

DEPARTMENT OF PLANNING.

COUNCIL ON ENVIRONMENTAL QUALITY

- X

December 8, 2010 9:30 a.m.

Sagtikos Manor Historical Society
Montauk Highway & Manor Lane
P.O. Box 5344
West Bayshore New York 11706

B E F O R E:

R. Lawrence Swanson, Chairperson Michael Kaufman, Vice Chairperson 2010 DEC 22 PH 12: 16

FIVE STAR REPORTING, INC.

90 JOHN STREET, SUITE 411

NEW YORK, NEW YORK 10038

631.224.5054

1 2	APPEARANCES:
3	James Bagg, Suffolk County Planning Department
3	Mike Mule, Suffolk County Planning Department
4	Richard Martin, Historic Society
5	Glavia B. Branca Garrari Mamban
6	Gloria R. Russo, Council Member
7	Mary Ann Spencer, Council Member
,	Daniel Pichney, Council Member
8	Thomas Gulbransen, Council Member
9	
10	Eva Growney, Council Member
11	Gloria Russo, Council Member
ГТ	Legislator Vivian Viloria-Fisher
12 13	
14	ALSO PRESENT
	Dominic Ninivaggi, Vector Control
15	Bob Steele,
16	Marri Domagori Donartment of Energy
17	Mary Dempsey, Department of Energy
18	Russ Mackey,
19	
20	
21 22	
23	
2.4	

1	CEQ Meeting 120810
2	(Time Noted: 9:44 a.m.)
3	CHAIRMAN SWANSON: We will call the
4	December meeting to order.
5	First of all, I would like to thank
6	Richard and Maryann and our host who
7	are our hosts?
8	MR. MARTIN: Jim McDaniel
9	(Phonetic) is our host.
10	CHAIRMAN SWANSON: Thank you all
11	for making this meeting possible.
12	As you all know, I think it's
13	important for us to visit the properties
14	that we have some responsibility for
15	overseeing. So, as we continue to make
16	our way around the County, I think we'll
17	all be educated and have learned some of
18	the fascinating history not only of the
19	buildings, but how these buildings act
20	as contacts of the County as a whole.
21	I was here a little early and
22	Richard came in, and it just blew my
23	mind with regard to what I thought I
24	understood about this particular house
25	and its role in Suffolk County the

1	CEQ Meeting 120810
2	history and I hope, Richard, that when
3	we go around for a tour, that you will
4	be able to enlighten well, first,
5	maybe everybody else knows, but I think
6	you certainly enlightened me, as well
7	as others as to the context of this
8	house.
9	Alright, anybody review the
10	minutes?
11	MR. MULE: There were none
12	available.
13	CHAIRMAN SWANSON: None available?
14	That's good news.
15	(WHEREUPON, there was laughter.)
16	CHAIRMAN SWANSON: Correspondence?
17	We have a letter concerning vector
18	control. Basically, the letter is
19	asking that we allow the timeline for
20	the reports for vector control to slip
21	until February 16th. For those that
22	were not here when that all took place,
23	we require that there be a Triennial
24	Report and that report is now due
25	perhaps it is even overdue, but this is

Τ	CEQ Meeting 120810
2	explaining that they're having a little
3	difficulty completing it, and they would
4	like to have an extension.
5	MR. BAGG: Can I have
6	clarification, Larry, on what the
7	purpose of the Triennial Report is as
8	opposed to there's another evaluation
9	coming in terms of the Best Management
10	Practices, I believe, and what the
11	potential impacts are. How is this
12	dealing with that, and what is the
13	status of the secondary steps?
14	MR. NINIVAGGI: My name is Dominic
15	Ninivaggi and I am with Vector Control.
16	This is Mary Dempsey from the Department
17	of Energy.
18	MS. DEMPSEY: The Triennial Report
19	is three departments with processes of
20	vector control. I just wanted to
21	clarify that.
22	MR. NINIVAGGI: The Triennial
23	Report is due three years after the EIS,
24	which was signed in March of 2007. We
25	realized that we weren't going to be

1	CEQ Meeting 120810
2	able to get it done very easily in 2010
3	because preparation would have fallen
4	right in the middle of the busy mosquito
5	season; also, we had to compile data
6	from previous years.
7	CHAIRMAN SWANSON: Just to clarify
8	that. My recollection is that as part
9	of the legislation, this Triennial
10	Report is a requirement.
11	MR. NINIVAGGI: Yes, it's a
12	progress report.
13	MS. DEMPSEY: It's contained within
14	the Statement of Findings, Appendix 1
15	which outlines what kind of information
16	that they're requesting.
17	MR. NINIVAGGI: The Wetland
18	Stewardship Plan is in progress. There
19	were some delays initially years after
20	the EIS was approved as to who was going
21	to do it and then it had to put out to
22	BID. A contractor was hired relatively
23	late in the process, and they're working
24	on that now.

Mary, what information do you have

т	CEQ Meeting 120810
2	on what their timeline is right now?
3	MS. DEMPSEY: That's being handled
4	by my Department and Camilo Salazar is
5	the contact. I am not really sure what
6	the timeline is for that. I can find
7	out and report back. It's my
8	understanding that the consultant on
9	that project, LKB has gotten they're
10	trying to renegotiate their contract as
11	if they were, at this point, supposed to
12	have completed the project.
13	CHAIRMAN SWANSON: Michael?
14	MR. KAUFMAN: Michael Kaufman.
15	Adding to what Mary is stating, the
16	Wetland Stewardship Plan, as she stated,
17	kind of fell behind with the contract
18	problems. There has also been a lot of
19	work done on it by some sub-consultants.
20	Part of the plan, if you will, has been
21	developed into a draft stage. The
22	people on the Wetland Stewardship
23	Committee, for example, I am one of
24	them, but we have been reviewing them.
25	We've had a number of comments and there

1	CEQ Meeting 120810
2	may be little bit of change in focus and
3	strategies on how they're doing it.
4	That may have an impact upon its
5	timeline. It's an extremely complex
6	situation how you basically assess
7	the Wetlands. There's a lot of
8	scientific debate about it. We're
9	trying to come up with a working plan as
10	opposed to a perfect plan so that we can
11	get underway and start utilizing some of
12	the technics that were proved in the EIS
13	and actually start getting some work
14	done.
15	Coincidentally, there's a project
16	down at Indian Island. Indian Island,
17	which is a dredge spoil site County
18	owned out in Riverhead and it might
19	be a perfect site to do an actual pilot
20	project on wetlands restoration.
21	Everything is kind of in flux right now.
22	We're approaching a draft version, if
23	you will, on all of this stuff so that
24	we kind of know where we're going, but
25	it's not there yet. It may be

1	CEQ Meeting 120810
2	Summertime that you might actually see
3	something. That's just a guesstimate of
4	mine.
5	MS. DEMPSEY: I just wanted to add
6	that at our last we have a work group
7	and then we have The Wetlands
8	Stewardship Committee. The work group
9	is made up of technical individuals and
10	it's Chaired by John Tanatredi from
11	Dowling.
12	At the last meeting of November
13	30th, we did make some progress in
14	discussing not only the BMP's that are
15	in the long term plan, but some
16	additional BMP's that could be of use in
17	terms of assessing the wetlands and
18	doing the monitoring.
19	CHAIRMAN SWANSON: Eva?
20	MS. GROWNEY: I have a question.
21	What are BMP's?
22	MS. DEMPSEY: Best Management
23	Practices. They were categorized by
24	simple activities that would not require
25	DC permits to fill in ditches, create

1	CEQ Meeting 120810
2	new ponds, and as I said, at our last
3	meeting, we really did make some
4	progress in opening it up and looking at
5	some other ideas. Also, the Indian
6	Island Restoration Project is a grant
7	that we got from the DEC. It's on
8	Suffolk County property, and it will be
9	done in conjunction with the Department
10	of Environment and Energy, as well as
11	the Department of Public Works. We're
12	looking forward to beginning that plan
13	process.
14	CHAIRMAN SWANSON: Jim, does that
15	answer your question?
16	MR. BAGG: Yes.
17	CHAIRMAN SWANSON: We need to have
18	a motion if the group is willing to let
19	the Triennial Report slip until February
20,	16th.
21	MR. KAUFMAN: I will make the
22	motion that the Triennial Report
23	acceptance be delayed until February
24	16th.

MS. GROWNEY: Second.

1	CEQ Meeting 120810
2	CHAIRMAN SWANSON: I have a
3	question?
4	From your group, is there anybody
5	in particular knocking the door down
6	saying, "We want this report?" Has the
7	Legislature said, "We want this report?"
8	MR. NINIVAGGI: No, we haven't
9	heard anything from them. It has been
10	extremely quiet in the last couple of
11	years. As a matter of fact, on many of
12	the committees that were set up such as
13	the Pesticide Management Committee, the
14	Wetlands Stewardship Committee, and some
15	of the original interest groups they
16	asked for these committees to be set up
17	such as the Nature Conservancy and
18	Citizens Campaign for the Environment,
19	and they had basically bowed down in the
20	process. I'm taking that as a vote of
21	confidence that we're doing things the
22	right away. It doesn't seem like
23	there's any urgency to getting this done
24	other than from as from my agencies
25	point of view, I would certainly like to

Τ	CEQ Meeting 120810
2	get the Wetlands Stewardship up and
3	running and these Best Management
4	Practices get our tool kit because we
5	have been asked to reduce the amount
6	pesticides we put out particularly for
7	mosquito larva and the only way we can
8	reduce that use of pesticides without
9	having more mosquitos, is to do more
10	wetlands management work. I am
11	certainly anxious to see this be put
12	into play so that we can get back some
13	good wetlands management.
14	CHAIRMAN SWANSON: Jim?
15	MR. BAGG: If I recollect
16	correctly, before the Wetlands
17	Stewardship Plan can go any further, it
18	needs a supplemental for the original
19	environmental documents.
20	It was originally approved for Best
21	Management Practices which is not
22	required to have a permit from DEC;
23	however, some of those practices that
24	were supposed to be implemented were
25	supposed to have further environmental

1	CEQ Meeting 120810
2	review, thresholds, and potential
3	impacts depending on the wetlands.
4	MR. KAUFMAN: I think it's five
5	through nine and ten through fourteen.
6	MR. NINIVAGGI: There are
7	provisions already in the EIS for
8	additional review on Management
9	Practices that are more likely to have
10	an adverse impact. This Wetlands
11	Stewardship Plan will flush that out and
12	clarify what the risks and benefits are
13	for the various management plans and
14	that will have to go to CEQ for
15	approval.
16	CHAIRMAN SWANSON: Vivian?
17	MS. VILORIA-FISHER: Dominic, when
18	we talk about going through the nine
19	through the fifteen well, I think
20	we're moving to the area of more
21	machines working rather than hands and
22	maintenance and well, we're doing
23	more heavily with the ditching, and we
24	want to proceed very cautiously. Where
25	are you in regards to moving in that

1	CEQ Meeting 120810
2	direction at this point?
3	MR. NINIVAGGI: Basically, the
4	Management Practices are grouped in
5	rough order of their likelihood of
6	changing the existing conditions of the
7	marsh. Remember that those changes
8	could be positive or negative. The
9	middle level of the Best Management
10	Practices are unlikely to change the
11	basic hydrology of the marsh you
12	know, they're not likely to change water
13	levels or degrees of tidal flooding.
14	Primarily from a mosquito patrol point
15	of view, it would be primarily directed
16	towards improving fish habitat, but also
17	improve tidal circulation which is
18	important from a natural resources point
19	of view. These are changes from the
20	existing right now, the management
21	practices we use are basically
22	maintaining the status quo. The low
23	level management practices will change
24	the status quo, but it should not be a
25	very large change because you're not

1	CEQ Meeting 120810
2	changing the hydrology; that would be
3	different for higher level management
4	practices because you're intentionally
5	changing the hydrology or the basic
6	function of the marsh with the idea that
7	you're restoring values that have been
8	lost. So, basically, that's the way the
9	hierarchy has been set up.
10	MS. VILORIA-FISHER: I just had a
11	follow up to that.
12	We had done some evaluations of the
13	I guess, it was a pilot program at
14	one time. Dominic, what subsequent
15	evaluations or reviews has been done as
16	to what is happening at Wertheim? What
17	kind of results have we seen? At the
18	time that we were working on the plan,
19	there had only been how much time?
20	Maybe a year and at this point, we're a
21	few years out so what kind of results
22	have we seen?
23	MR. NINIVAGGI: Well, we have five
24	years results through 2009. What we
25	found was that the project did not

1	CEQ Meeting 120810
2	succeed in its goal of reducing the need
3	to use pesticides. It did reduce
4	mosquito production in the marsh.
5	MS. VILORIA-FISHER: Did you say it
6	did not?
7	MR. NINIVAGGI: It did reduce the
8	production. So, in terms of mosquito
9	control goals, they have been met and
10	they could be even better with some
11	tweaks to the system. We can get to the
12	total elimination of pesticides, but we
13	have definitely reduced it by about 75
14	percent which was the original goal. We
15	have seen a reduction in the invasive
16	vegetation. We have seen good
17	re-vegetation of the area by native
18	species of wetland plants. We have seen
19	increases in population to native fish,
20	particularly, in parts of the marsh that
21	were most heavily impacted. So, the
22	results so far have been very good in
23	terms of meeting our goals from both the
24	mosquito and the natural resources point
25	of view.

1	CEQ Meeting 120810
2	At this point, after five years
3	out, the marsh is pretty stable at this
4	point. We're not expecting very rapid
5	or significant changes from here on out;
6	so we're pretty positive that the
7	positive results we have seen will be
8	maintained.
9	CHAIRMAN SWANSON: Dominic, with
10	regard to that, who is the chief
11	scientist, if you will, for that
12	project?
13	MR. NINIVAGGI: At this point, the
14	County is managing and monitoring the
15	efforts of this project, so ultimately
16	that would be me.
17	MS. DEMPSEY: It's the Department
18	of Public Works and the Department of
19	Environment and Energy. We were all out
20	there throughout the Summer. We will
21	also be out there through 2014. The CEC
22	added an additional year of monitoring.
23	CHAIRMAN SWANSON: Can we plan on
24	having a scientific presentation some
25	time in the Spring when we can review

1	CEQ Meeting 120810
2	some of the questions that Vivian just
3	asked in a more substantial way?
4	MR. NINIVAGGI: Yes, we can do
5	that. We already have the 2009 updates
6	on the monitoring. We already had some
7	discussions in terms of what we found so
8	far. By the Spring, we may have
9	actually, as for 2010, we should have
10	those results in by now.
11	The other thing that we have done
12	is we have published some of the
13	mosquito results and they now appear in
14	the Journal of International Geographic.
15	That now has become open literature.
16	MS. VILORIA-FISHER: Can you site
17	that again, Dominic?
18	MS. DEMPSEY: Journal of
19	International Geographic. It probably
20	was I have to get back to you on
21	that.
22	CHAIRMAN SWANSON: Christine can
23	probably perhaps forward that reference
24	to the
25	MR. NINIVAGGI: The other thing

Т	CEQ Meeting 120810
2	that we're working on now, as far as the
3	natural resources data is concerned, is
4 .	that we're actively working to try to
5	publish that in the open literature, as
6	well as working with some of the
7	scientific staff at the U.S. Fish and
8	Wildlife Service and the U.S.G.S
9	some of whom were involved in the
10	original design of the project and some
11	of them who have already published
12	information on this general subject.
13	We're working on getting this into
14	the open literature in cooperation with
15	some well-established scientists in the
16	field.
17	CHAIRMAN SWANSON: Jim, Mike, and
18	then Tom?
19	MR. BAGG: Dominic, East Hampton
20	had a program, I believe, running
21	jointly with the Nature Conservancy to
22	plug the mosquito control ditches. I
23	don't think they did any environmental
24	review; is anybody evaluating that
25	program?

Τ	CEQ Meeting 120810
2	MR. NINIVAGGI: We haven't
3	evaluated any of that. You would have
4	to talk to East Hampton and the Nature
5	Conservancy about that. I understand
6	that they did do some measurements, and
7	I actually did work with Nicole Marr
8	(Phonetic) from the Nature Conservancy
9	and showed her a little bit about
10	mosquito dipping. I don't know if they
11	received any mosquito results on that.
12	At one point, that project had been
13	independent of us.
14	MR. BAGG: I understand that, but I
15	think somebody should really kind of
16	evaluate something like that. It might
17	increase the mosquito population.
18	MR. NINIVAGGI: Well, from our own
19	monitoring of the area, we're not seeing
20	an increase like we've seen in New
21	Jersey with samples of adult mosquito
22	populations in that area. They have
23	been relatively low for the last few
24	years. As a matter of fact, in many of

the marshes, in that system, we needed

	21
1	CEQ Meeting 120810
2	to do very little larviciding. From the
3	information we have, we can't tell
4	whether that's a result of what East
5	Hampton did or it's just part of the
6	nature cycle of the marsh, but certainly
7	there's no evidence that whatever
8	they're doing has made the situation
9	worse.
10	CHAIRMAN SWANSON: Mike?
11	MR. KAUFMAN: First off, just to
12	follow up on what Jim's talking about, I
13	find it curious that the County was
14	placed in the position of having to do
15	very, very heavy monitoring and having
16	data collecting in order to justify any
17	permits that were undertook to deal with
18	the mosquito situation; yet in East

the mosquito situation; yet in East

Hampton, that seems to have gone by the

Board. There's really no data coming

out that I have seen, and they're doing

a lot of the practices that they accuse

the County of doing. They said they

were wrong, for example, for plugging

ditches and we're opening up ditches

1	CEQ	Meeting	120810
---	-----	---------	--------

2.

3

4

5

6

7

8

9

10

11

12

13

14

15

16

17

18

19

20

21

22

23

24

25

depending upon where it is and actually doing some catching. They've opened up some culverts and things like that yet we're not seeing any of that data, and we're not exactly sure where it is going, so I find that very curious.

The second thing is regarding Wertheim. The interesting thing to me is -- and I review a fair amount of the data on that, but a lot of people predicted destruction of that particular marsh if the project was undertaken by the County did go forward and they predicted that the actual construction, once they saw it, would be catastrophic and would never recover yet I seem to recall about a year or so ago, there was a presentation made to this group and to others showing the scars from the construction work which, apparently, have not been permanent and that they have been filled in with spartina and other native vegetation; however, the catastrophic results that were

1	CEQ Meeting 120810
2	predicted, apparently, have not occurred
3	at least going out four or five years.
4	Now, the DEC is saying they want to have
5	a sixth year, so it will be good to see
6	that data when it comes out. My point
7	is that the catastrophic results that
8	were predicted have not occurred. There
9	have been other projects like this
10	Mary, where is that other place that the
11	DEC is doing?
12	MS. DEMPSEY: Namkee Creek.
13	MR. KAUFMAN: Yes, Namkee Creek.
14	They have been doing something very
15	similar to that, and they're not seeing
16	catastrophic results the way some people
17	have been predicting them.
18	Indian Island is going to be
19	designed the same way to avoid those
20	types of catastrophic results. My
21	point, basically, is that the plan that
22	was adopted by the CEQ and by the
23	Legislature back in 2007, appears not to
24	have either place seem to be

substantive and the work that has been

1	CEQ Meeting 120810
2	authorized by it and a lot of the work
3	that composes the basis of the study has
4	proven to be a positive net gain. In my
5	opinion, I am just not seeing the
6	catastrophic results that some people
7	had predicted.
8	CHAIRMAN SWANSON: I think we need
9	to have the members review the report
10	and so forth to show that conclusion.
11	MR. NINIVAGGI: The other thing I
12	wanted to point out is that the work
13	that was done by the Town of East
14	Hampton and Accabonac actually was done
15	back in the 90's in cooperation with
16	vector control. But, what the Town did
17	there is very, very different than what
18	was done at Wertheim and indeed it's
19	very, very different than what is done
20	anywhere else in the northeast in terms
21	of what's called Open Marsh Water
22	Management. That project was never
23	designed to reduce mosquitos, in fact,
24	that project was intended primarily to

maintain water in the marshes in the

1	CEQ Meeting 120810
2	hopes of keeping coliform bacteria out
3	of the shellfish beds. So you can't
4	really compare what was done by the Town
5	of Aquaponic to what we did at Wertheim
6	or what's been done really anywhere else
7	in the northeast. It's a very different
8,	type of project using very different
9	technics with very different goals. The
10	other thing you have to keep in mind is
11	that Accabonac also installed a large
12	culvert in the road enclosing the marsh
13	with the intent of improving tidal
14	action. So whatever effect that
15	increase in tidal flow had on the marsh,
16	that is going to obscure the effects of
17	the things like ditch plugging
18	especially when you have two things
19	going on at the same time; so it's kind
20	of hard to know what caused what. Not
21	that it wasn't a good idea to do that,
22	it just makes it harder to know what is
23	causing what changes.
24	I also wanted to mention that we

had done some work in cooperation with

1	CEQ Meeting 120810
2	the DEC last Winter in terms of
3	restoring tidal flow to a couple of
4	their heavily impacted marshes. We were
5	able to do some follow up our
6	consultant did some follow up at Namkee
7	Creek and they believe that they have
8	seen positive changes in the vegetation.
9	I am gratified to see that but on the
10	other hand, what was done there was very
11	low key. It was just a very simple
12	reopening of the marsh and tidal flow.
13	It was not a full-scale wetlands
14	restoration project. So, our goals was
15	very modest, and we've have seen a
16	modest improvement in one year. I am
17	gratified to see that, but it's very
18	early.
19	The same thing happened with the
20	Lime and Marsh Project. That marsh was
21	totally cut off from tidal flow. We
22	have some decent tidal flow, but it's
23	far too early to know whether there is
24	positive or negative changes.
25	The other thing I wanted to point

Т	CEQ Meeting 120810
2	out about the Terry Creek Project is
3	that, that's also very different from
4	what we have done at Wertheim. The
5	Terry Creek Project at Indian Island is
6	basically taking an old dredge spoil
7	site and restoring tidal flow and
8	restoring proper elevations to basically
9	allow the marshes to rebuild.
10	Again, that's a worthwhile thing to
11	do but it's very, very different from
12	what we did at Wertheim where we took ar
13	existing ditched marsh and basically
14	tried to remove the effects of the
15	ditching and restore a marsh that was
16	already functioning. Basically, we were
17	looking to rehabilitate and improve a
18	marsh that was already a marsh and
19	already had some basic marsh functions.
20	So when we look at these projects,
21	we have to keep in mind that they're
22	very different from one another.
23	CHAIRMAN SWANSON: Tom?
24	MR. GULBRANSEN: Dominic, I see
25	your point earlier about having two or

1	CEQ Meeting 120810
2	three things going on at the same time.
3	It's hard to figure out what the
4	causality is in whatever condition we
5	see in any given month. Do you
6	anticipate that maybe next Spring we car
7	have something on the science and the
8	process and how you assess the progress?
9	MR. NINIVAGGI: Yes.
10	MR. GULBRANSEN: Could you add to
11	that agenda how you consider sea level
12	rise or how you juggle it? You
13	mentioned in today's discussion that
14	your goal is, by mandate, to address
15	status quo and keep things as they are.
16	You also said that the marshes seem to
17	be maintaining themselves as you monitor
18	them, but that's a different story then
19	I hear from other marshes. They're
20	pretty sensitive places and the sea
21	level rise seems to be one of the
22	factors that people are worried more
23	about.
24	MR. NINIVAGGI: Well, also, you
25	have to remember that we're lucky

1	CEQ Meeting 120810
2	MR. GULBRANSEN: In the Spring,
3	could we add that layer if it was
4	already discussed to see how you juggle
5	things that aren't changing with the
6	need to juggle hydrology? It is such a
7	tough thing to
8	MR. NINIVAGGI: Well, you have to
9	remember, what we did at Wertheim was
10	something we were looking at over a five
11	year term and the sea level rise over a
12	shorter period of time and that's not a
13	major issue.
14	The other thing that was found
15	during the course of the EIS Project was
16	that different marshes are in a
17	different statuses relative to sea level
18	rise. Some marshes on the island such
19	as the Wertheim Marsh seems to be
20	keeping pace with sea level rise
21	relatively well, while others are not.
22	So that's a little bit outside the scope
23	of the Wertheim Project.
24	One of our mandates in terms of the

Wetland Stewardship Program is to

1	CEQ Meeting 120810
2	consider the long term impact of the sea
3	level rising depending on what the
4	County would like to do. I think that,
5	that's going to have more to do with
6	things like buffers and allowing areas
7	from the marsh to migrate than what you
8	did within the marsh itself.
9	MS. DEMPSEY: Tom, the Nature
10	Conservancy, I think, in conjunction
11	with U.S.G.S has set up what we call
12	S.E.T. which stands for sediment
13	elevation tables throughout Long Island.
14	They would have more data on that kind
15	of thing, but we're not collecting that
16	kind of information.
17	MR. GULBRANSEN: I didn't mean to
18	add it to your menu. It's not our scope
19	to do that. I just wanted to help you
20	rational and help you with the progress
21	and that it be expressed mindful of the
22	other stuff that's going on out there.
23	As you juggle it this way, it might be
24	helpful in some cases or it might be a

counterbalance. We can always talk

1	CEQ Meeting 120810
2	about it in the Spring.
3	MR. NINIVAGGI: One of the things
4	that seems to be key is if you have a
5	marsh where you have healthy growth of
6	vegetation and where you would think
7	they would be more able to resist the
8	effects of sea level rising. Certainly,
9	we're trying to get good healthy
10	vegetation for that.
11	CHAIRMAN SWANSON: Eva?
12	MS. GROWNEY: In terms of your
13	program, can you just give us a very
14	brief idea of what kind of things we're
15	going to see and how often you how
16	often do you check the various places
17	and what kind of recordation system do
18	you use? You mentioned earlier that
19	there are different agencies that do
20	different things. If you can just
21	briefly
22	MS. DEMPSEY: With the Wertheim
23	Project, we looked at the biological
24	factors of fish, birds, and vegetation
25	changes. Every year we take photos and

1	CEQ Meeting 120810
2	we also have a bit of a permit
3	modification because we're going out
4	there and collecting data every year and
5	there wasn't any change in every year
6	you don't see these kinds of changes.
7	Currently, every year, we go out and
8	check to see where all the population is
9	and that is done every year.
10	MS. GROWNEY: At the same time?
11	MS. DEMPSEY: That's right. We do
12	vegetation at set locations and we call
13	them transects. We do a vegetation
14	analysis, as well. We have fish
15	stations. We have bird stations, and we
16	also measure things like salinity, poor
17	water salinity, and we try to assess if
18	there are any changes to hydrology and
19	water tables heights, as well.
20	MS. GROWNEY: Are there any
21	endangered species that are also looked
22	at to see you kind of touched on that
23	a little bit in terms of the active
24	marsh lands and you were saying that

there is healthy -- to see if there is

1 CEQ Meeting 120810

5

6

7

8

9

10

11

12

13

14

15

16

17

18

19

20

21

22

23

24

25

healthy growths over there; is there
anything that you noted as an endangered
species that is problematic?

MR. NINIVAGGI: There weren't any listed species present regularly in the The marsh is visited by bald marsh. eagles, osprey, and those sorts of animals. I know there are some marsh sparrows that utilize the salt marshes. We haven't seen anything specific as listed species. I think one of the things you should also keep in mind is that the Wertheim Project was intended, among other things, to give us an idea of what sort of follow up monitoring is appropriate and worth doing.

In the initial couple of years, a very large number of things were looked very intensively at, and over time what we found was that some of the things we were looking at didn't seem to give us much useful information. In conjunction with Fish and Wildlife Service, we have changed some of the monitoring. There

1	CEQ Meeting 120810
2	are some things that we look at every
3	other year or every two to three years
4	because that's the timeframe that you
5	can expect to see changes. We are a
6	mosquito control agency, and we do look
7	at the mosquitos very intensively.
8	We're out there once a week because it
9	is part of our regular program. At
10	Wertheim, we look at it a little more
11	intensively than our regular program
12	because of the follow up to the project,
13	but that's going to be an interesting
14	issue.
15	As we go forward, we need to see
16	how much monitoring we can reasonably do
17	as we go operational with some of these
18	practices.
19	MS. GROWNEY: Thank you.
20	CHAIRMAN SWANSON: Dominic, just a
21	couple of comments to clarify the
22	record.
23	When would be it best so that we
24	can do some planning to have a
25	scientific presentation?

1	CEQ Meeting 120810
2	MR. NINIVAGGI: I would say April
3	would probably be worthwhile because at
4	that time we should have some of the
5	2010 data in, and it's before we get
6	into the busy season in terms of our
7	mosquito control program.
8	CHAIRMAN SWANSON: Christine, would
9	you tentatively make sure that we try to
10	get on April's meeting?
11	MS. DE SALVO: Yes.
12	CHAIRMAN SWANSON: The other thing,
13	Dominic, that I wanted to comment on is
14	that, while nobody is knocking your door
15	down or our door down for this report, I
16	think it's imperative that it be done by
17	February 16th, because this is exactly
18	the kind of thing that some day somebody
19	might be knocking our door down on. I
20	don't think we want the CEQ or the
21	County hounding us for it hounding us
22	for not having it done when we're
23	required to have it done by the EIS
24	process.
25	MR. NINIVAGGI: I agree.

1	CEQ Meeting 120810
2	Also, from my program's point of
3	view, I would like to see this process
4	be pushed forward especially the Wetland
5	Stewardship part of it because
6	operationally, it will be very helpful
7	for us to meet our goals.
8	CHAIRMAN SWANSON: So we have a
9	motion and a second.
10	Any further comments?
11	(WHEREUPON, there was no response
12	from the Council.)
13	CHAIRMAN SWANSON: All in favor?
14	(WHEREUPON, the Council voted.)
15	CHAIRMAN SWANSON: Opposed?
16	(WHEREUPON, there was no response
17	from the Council.)
18	CHAIRMAN SWANSON: Motion carries.
19	Thank you very much for coming.
20	MS. DEMPSEY: We're doing this
21	report with the help of Sal Scarfutti
22	(Phonetic) who did the tick report. He
23	is the one that is going to be
24	formatting it. He is familiar with
25	getting different departments together

to write such a report, and then we have a shared drive and we do appreciate this because we definitely need the extension. CHAIRMAN SWANSON: Vivian? MS. VILORIA-FISHER: I will be inviting you, although I don't know whether or I will be Chair of the Environment Committee, but the likelihood is that I will be, and I will invite you to do a short presentation at the Environment Committee meeting and that will be after you come to the CEQ. CHAIRMAN SWANSON: Your welcome to stay. Eventually, we're going to have a tour of this house. If you have the time or the inclination, you're certainly welcome to stay and be part of that. Anybody here from the public that wants an opportunity to speak? Ordinarily, we speak as particular issues come up on the agenda, but if	1	CEQ Meeting 120810
because we definitely need the extension. CHAIRMAN SWANSON: Vivian? MS. VILORIA-FISHER: I will be inviting you, although I don't know whether or I will be Chair of the Environment Committee, but the likelihood is that I will be, and I will invite you to do a short presentation at the Environment Committee meeting and that will be after you come to the CEQ. CHAIRMAN SWANSON: Your welcome to stay. Eventually, we're going to have a tour of this house. If you have the time or the inclination, you're certainly welcome to stay and be part of that. Anybody here from the public that wants an opportunity to speak? Ordinarily, we speak as particular issues come up on the agenda, but if	2	to write such a report, and then we have
CHAIRMAN SWANSON: Vivian? MS. VILORIA-FISHER: I will be inviting you, although I don't know whether or I will be Chair of the Environment Committee, but the likelihood is that I will be, and I will invite you to do a short presentation at the Environment Committee meeting and that will be after you come to the CEQ. CHAIRMAN SWANSON: Your welcome to stay. Eventually, we're going to have a tour of this house. If you have the time or the inclination, you're certainly welcome to stay and be part of that. Anybody here from the public that wants an opportunity to speak? Ordinarily, we speak as particular issues come up on the agenda, but if	3	a shared drive and we do appreciate this
6 CHAIRMAN SWANSON: Vivian? 7 MS. VILORIA-FISHER: I will be 8 inviting you, although I don't know 9 whether or I will be Chair of the 10 Environment Committee, but the 11 likelihood is that I will be, and I will 12 invite you to do a short presentation at 13 the Environment Committee meeting and 14 that will be after you come to the CEQ. 15 CHAIRMAN SWANSON: Your welcome to 16 stay. Eventually, we're going to have a 17 tour of this house. If you have the 18 time or the inclination, you're 19 certainly welcome to stay and be part of 20 that. 21 Anybody here from the public that 22 wants an opportunity to speak? 23 Ordinarily, we speak as particular 24 issues come up on the agenda, but if	4	because we definitely need the
MS. VILORIA-FISHER: I will be inviting you, although I don't know whether or I will be Chair of the Environment Committee, but the likelihood is that I will be, and I will invite you to do a short presentation at the Environment Committee meeting and that will be after you come to the CEQ. CHAIRMAN SWANSON: Your welcome to stay. Eventually, we're going to have a tour of this house. If you have the time or the inclination, you're certainly welcome to stay and be part of that. Anybody here from the public that wants an opportunity to speak? Ordinarily, we speak as particular issues come up on the agenda, but if	5	extension.
inviting you, although I don't know whether or I will be Chair of the Environment Committee, but the likelihood is that I will be, and I will invite you to do a short presentation at the Environment Committee meeting and that will be after you come to the CEQ. CHAIRMAN SWANSON: Your welcome to stay. Eventually, we're going to have a tour of this house. If you have the time or the inclination, you're certainly welcome to stay and be part of that. Anybody here from the public that wants an opportunity to speak? Ordinarily, we speak as particular issues come up on the agenda, but if	6	CHAIRMAN SWANSON: Vivian?
whether or I will be Chair of the Environment Committee, but the likelihood is that I will be, and I will invite you to do a short presentation at the Environment Committee meeting and that will be after you come to the CEQ. CHAIRMAN SWANSON: Your welcome to stay. Eventually, we're going to have a tour of this house. If you have the time or the inclination, you're certainly welcome to stay and be part of that. Anybody here from the public that wants an opportunity to speak? Ordinarily, we speak as particular issues come up on the agenda, but if	7	MS. VILORIA-FISHER: I will be
10 Environment Committee, but the 11 likelihood is that I will be, and I will 12 invite you to do a short presentation at 13 the Environment Committee meeting and 14 that will be after you come to the CEQ. 15 CHAIRMAN SWANSON: Your welcome to 16 stay. Eventually, we're going to have a 17 tour of this house. If you have the 18 time or the inclination, you're 19 certainly welcome to stay and be part of 20 that. 21 Anybody here from the public that 22 wants an opportunity to speak? 23 Ordinarily, we speak as particular 24 issues come up on the agenda, but if	8	inviting you, although I don't know
likelihood is that I will be, and I will invite you to do a short presentation at the Environment Committee meeting and that will be after you come to the CEQ. CHAIRMAN SWANSON: Your welcome to stay. Eventually, we're going to have a tour of this house. If you have the time or the inclination, you're certainly welcome to stay and be part of that. Anybody here from the public that wants an opportunity to speak? Ordinarily, we speak as particular issues come up on the agenda, but if	9	whether or I will be Chair of the
invite you to do a short presentation at the Environment Committee meeting and that will be after you come to the CEQ. CHAIRMAN SWANSON: Your welcome to stay. Eventually, we're going to have a tour of this house. If you have the time or the inclination, you're certainly welcome to stay and be part of that. Anybody here from the public that wants an opportunity to speak? Ordinarily, we speak as particular issues come up on the agenda, but if	10	Environment Committee, but the
the Environment Committee meeting and that will be after you come to the CEQ. CHAIRMAN SWANSON: Your welcome to stay. Eventually, we're going to have a tour of this house. If you have the time or the inclination, you're certainly welcome to stay and be part of that. Anybody here from the public that wants an opportunity to speak? Ordinarily, we speak as particular issues come up on the agenda, but if	11	likelihood is that I will be, and I will
that will be after you come to the CEQ. CHAIRMAN SWANSON: Your welcome to stay. Eventually, we're going to have a tour of this house. If you have the time or the inclination, you're certainly welcome to stay and be part of that. Anybody here from the public that wants an opportunity to speak? Ordinarily, we speak as particular issues come up on the agenda, but if	12	invite you to do a short presentation at
15 CHAIRMAN SWANSON: Your welcome to 16 stay. Eventually, we're going to have a 17 tour of this house. If you have the 18 time or the inclination, you're 19 certainly welcome to stay and be part of 20 that. 21 Anybody here from the public that 22 wants an opportunity to speak? 23 Ordinarily, we speak as particular 24 issues come up on the agenda, but if	13	the Environment Committee meeting and
stay. Eventually, we're going to have a tour of this house. If you have the time or the inclination, you're certainly welcome to stay and be part of that. Anybody here from the public that wants an opportunity to speak? Ordinarily, we speak as particular issues come up on the agenda, but if	14	that will be after you come to the CEQ.
tour of this house. If you have the time or the inclination, you're certainly welcome to stay and be part of that. Anybody here from the public that wants an opportunity to speak? Ordinarily, we speak as particular issues come up on the agenda, but if	15	CHAIRMAN SWANSON: Your welcome to
time or the inclination, you're certainly welcome to stay and be part of that. Anybody here from the public that wants an opportunity to speak? Ordinarily, we speak as particular issues come up on the agenda, but if	16	stay. Eventually, we're going to have a
certainly welcome to stay and be part of that. Anybody here from the public that wants an opportunity to speak? Ordinarily, we speak as particular issues come up on the agenda, but if	17	tour of this house. If you have the
20 that. 21 Anybody here from the public that 22 wants an opportunity to speak? 23 Ordinarily, we speak as particular 24 issues come up on the agenda, but if	18	time or the inclination, you're
21 Anybody here from the public that 22 wants an opportunity to speak? 23 Ordinarily, we speak as particular 24 issues come up on the agenda, but if	19	certainly welcome to stay and be part of
wants an opportunity to speak? Ordinarily, we speak as particular issues come up on the agenda, but if	20	that.
Ordinarily, we speak as particular issues come up on the agenda, but if	21	Anybody here from the public that
issues come up on the agenda, but if	22	wants an opportunity to speak?
<u>-</u>	23	Ordinarily, we speak as particular
25 there is anyhody that wants to speak	24	issues come up on the agenda, but if
25 chere is anybody that wants to speak,	25	there is anybody that wants to speak,

1	CEQ Meeting 120810
2	they may do it now.
3	(WHEREUPON, there was no response
4	from the Public to speak.)
5	CHAIRMAN SWANSON: Historic Trust?
6	MR. MARTIN: The Housing Meeting is
7	scheduled for December 16th, and that is
8	the committee that reviews all of our
9	housing for rent, the amounts, and also
10	concerns that we have.
11	We do have a concern right now.
12	We've had vacancies for a long time at
13	the West Oaks County Park which has two
14	houses there. The Simpson House has
15	been vacant since the rent was increased
16	a number of years ago. We need to take
17	a serious look at that house. We need
18	to look and see how we can get those
19	properties rented.
20	We're also going to be reviewing
21	the Lindley House out at Theodore
22	Roosevelt County Park. That is a house
23	within the Park that came with the
24	original County purchase in the 1970's.

The owners were given until this coming

1	CEQ Meeting 120810
2	February of 2011 to use the property.
3	That's coming up, so we need to review
4	that property and see how the County
5	wants to go forward with occupancy on
6	that. That's also on the agenda.
7	As for the Custodial Agreement,
8	we're still working on the agreement
9	with the Long Island Chapter and U.S
10	Lighthouse Society. That's for the
11	Cedar Point Lighthouse, and we're also
12	working on the Long Island Maritime
13	Museum agreement. We have a museum site
14	at West Sayville County Park.
15	MS. VILORIA-FISHER: We just voted
16	on that, didn't we?
17	MR. MARTIN: It was voted on to
18	approve, but the paperwork is not
19	complete. The reason it's not complete
20	is because it has been approved, but the
21	contract itself has not been completed.
22	That's all I have.
23	MR. KAUFMAN: Rich, as for the
24	Simpson House, which I familiar with,
25	the rent is rather high on there. I

1	CEQ Meeting 120810
2	know the group that you're part of has
3	the authority to, after proper review,
4	lower that possibly. The house is
5	incredibly hard to heat. The windows
6	are single paned. If you want to have
7	somebody in there, and West Sayville is
8	a heavily used park, you have to try and
9	find some justification for radically
10	dropping that rent. The house itself is
11	not the easiest place to heat. It's not
12	well-layed out for a family or whatever.
13	It's not a easy house to live in, and
14	that comes from speaking with some of
15	the tenants that live over there. I
16	remember a Suffolk County police park
17	woman was the last one to live there.
18	If you want to get somebody in there,
19	you really have to drop the rent.
20	MR. MARTIN: You're right. My
21	understanding is that the Committee does
22	have the authority to take all those
23	conditions into account and that's what
24	we will look at.

MR. KAUFMAN: I really think that

1	CEQ Meeting 120810
2	an appraiser I have been dealing with
3	appraisers on another issue, but if
4	justification is needed for that for
5	that particular house, the age of the
6	house and the heating and I mean
7	there's no insulation. There's nothing.
8	It has single paned windows, so you have
9	every justification in the world to drop
10	that rent radically and the more
11	important ones need to be rented.
12	MR. MARTIN: The Committee reviews
13	more so than the appraiser. The
14	appraiser gets it done at market rate by
15	looking at comparable houses in that
16	area. It is a very nice neighborhood,
17	but the Committee can look at the
18	immediate environment within the Park
19	and the activities within the Park so
20	maybe the appraiser can take that into
21	account.
22	MR. KAUFMAN: Just as part of the
23	appraisal process because I am dealing
24	with appraisers with another historic

house myself right now, but when you

1	CEQ Meeting 120810
2	look at comps, that's always a problem
3	because it tends to drive the prices
4	higher than you would normally see with
5	a regular house. For example, let's say
6	you have three houses in a row and the
7	middle one is the historic house and the
8	two on either side of it are more
9	contemporary more of a 1950's house.
10	The comp method seems to drive the price
11	higher on the middle house as opposed to
12	the historic house and as opposed to the
13	two houses on either side. Again, using
14	that approach without factoring in and
15	decreasing, if you will, some of the
16	issues that apply to historic houses in
17	terms of value, you really get a higher
18	rate and you may need to have an
19	historic appraiser in there if such a
20	thing exists because I am looking for
21	one right now.
22	MR. MARTIN: I think the Committee
23	can play that role.
24	MR. KAUFMAN: That's what I am
25	basically driving at. You guys have to

1	CEQ Meeting 120810
2	exercise some sort of judgment on this
3	and go beyond what the appraiser is
4	saying. The appraiser is always going
5	to have a higher price. They're not
6	equipped to factor in certain things.
7	Realistically, a lot of appraisers have
8	problems dealing with asbestos and
9	contamination. They're not able to
10	knock down prices that way without
11	specialized addendums to the report
12	which they're usually not able to do and
13	that's why the appraisers are somewhat
14	high. That's where I am going with
15	that.
16	MS. VILORIA-FISHER: Mike, that's
17	exactly why we have the Committee. We
18	begin with the appraiser to do the
19	appraisal and then we go through we
20	have set up a grid of different
21	criteria, and we have somebody from the
22	Department of Public Works who sits on
23	the committee to help us with precisely
24	these kind of issues you're talking

about regarding utilities and the cost

1	CEQ Meeting 120810
2	of the utilities. I don't know how far
3	they're going to go with this home. I
4	know it has been an issue because we
5	have had letters from former tenants
6	about the inability to heat the house;
7	so everything you're saying is something
8	that the committee is already doing. We
9	can only go so far with the relief
10	without tipping the scale and having to
11	hear the cries that we heard a few years
12	ago. It becomes very political, and it
13	can hurt the whole program.
14	One of the things that we looked at
15	I don't know because I am not Chair
16	of Parks anymore so I am not sitting on
17	the committee anymore, but it was having
18	some kind of straight utility
19	forgiveness or help with the utilities.
20	I know these houses are so expensive to
21	heat.
22	MR. KAUFMAN: Once, a long time
23	ago, I saw an approach to establishing a
24	fair market value wherein the cost of
25	the utilities was factored in on a

1	CEQ Meeting 120810
2	square footage basis, and it was
3	compared with more modern housing and
4	there was an equalization process that
5	was brought in to account for that
6	justification for the lower rent. All
7	am saying is
8	MS. VILORIA-FISHER: I think
9	they're doing that.
10	MR. MARTIN: We haven't done it to
11	that extreme you know, a formula but
12	we're capable.
13	MR. KAUFMAN: What I am trying to
14	do is push you at least with the Simpsor
15	House to really look at this house, and
16	its rental value. I am well aware of
17	the Committee and how it was founded and
18	the parameters of it. I just want to
19	see that house rented somehow, but it's
20	a liability otherwise and that's a big
21	problem.
22	CHAIRMAN SWANSON: Jim?
23	MR. BAGG: I have a question about
24	the heating issue on some of these
25	structures.

<u> </u>	Chy Meeting 120010
2	I know the County has purchased
3	contracts for fuel oil and everything
4	else. I assume that the prices are down
5	and the people that are moving into
6	these structures are certainly
7	negotiating a price where they can have
8	a reduction, but do these houses utilize
9	the County's system in terms of the cost
10	of the heating oil?
11	MR. MARTIN: I can tell you in the
12	past, that was possible. I don't know
13	what they're doing now. I would have to
14	check on that. We did do it, but I just
15	don't know what is happening now.
16	MR. KAUFMAN: You should look at
17	the legalities of it.
18	MR. MARTIN: I got your point, yes.
19	CHAIRMAN SWANSON: Eva?
20	MS. GROWNEY: The only other thing
21	that I am just underlying is that those
22	houses need to be heated any way, so
23	it's really a benefit to having somebody
24	in there with reasonable numbers who is
25	also overseeing things.

1	CEQ Meeting 120810
2	MR. MARTIN: Also, just within the
3	Parks Department and we haven't brought
4	this over to the committee yet, but we
5	always have the option of using it for
6	another activity such as a park office
7	or a historical group or things like
8	that. We need to open it up and look at
9	all the possibilities.
10	CHAIRMAN SWANSON: Thank you,
11	Richard.
12	Any Type One Actions this month?
13	(WHEREUPON, there was no response
14	from the Council.)
15	CHAIRMAN SWANSON: Maryann, would
16	you introduce the topic that you
17	introduced, I think, originally last
18	month?
19	MS. SPENCER: Yes. We talked about
20	there was a motion asking the CEQ to
21	approach the attorneys for both the
22	Legislature and the County Executive for
23	an opinion. I have been thinking about
24	that, and I am a little concerned with

that but that's not our purview and so,

1	CEQ Meeting 120810
2	respectfully, Vivian, I would like to
3	revisit that motion.
4	MS. VILORIA-FISHER: I agree with
5	you. I would be happy to take that on
6	and ask the District Attorney and
7	Legislature's Counsel for an opinion
8	rather than having it come from the CEQ
9	because the CEQ advises the Legislature;
10	so I would be happy to do that.
11	CHAIRMAN SWANSON: Do you want to
12	withdraw the motion?
13	MS. SPENCER: May I?
14	MR. KAUFMAN: There's a big problem
15	here.
16	MR. YOUNG: If I can, for the
17	record just I don't know if it was
18	clear, but you said "district attorney."
19	MS. VILORIA-FISHER: I meant the
20	County Attorney.
21	CHAIRMAN SWANSON: So we have this
22	action before us that we are to write a
23	letter and
24	MS. SPENCER: May I make a motion
25	to not write the letter?

1	CEQ Meeting 120810
2	MR. KAUFMAN: You want to make a
3	motion to rescind.
4	MS. SPENCER: I would like to make
5	a motion to rescind.
6	CHAIRMAN SWANSON: Do we have a
7	second?
8	MR. KAUFMAN: I'll second.
9	CHAIRMAN SWANSON: Michael has
10	seconded the motion.
11	Any discussions?
12	(WHEREUPON, there was no response
13	from the Council.)
14	CHAIRMAN SWANSON: All in favor of
15	the motion?
16	(WHEREUPON, the Council voted.)
17	CHAIRMAN SWANSON: Motion carries.
18	Michael, Ratification of
19	Recommendations for Legislative
20	Resolutions Laid on the Table?
21	MR. MULE: It is pretty straight
22	forward. There is nothing out of the
23	ordinary with this.
24	I did want to mention that 2171, I
25	believe, Appropriate Funds in Connection

1	CEQ Meeting 120810
2	with County Water as is normally done
3	with any County dredging projects, the
4	State being the permitting authority,
5	will be the lead agency and take care of
6	the SEQRA compliance for this.
7	CHAIRMAN SWANSON: Anything else?
8	MR. MULE: It's pretty straight
9	forward.
10	CHAIRMAN SWANSON: I just had a
11	question that you may or may not know.
12	Where do we stand in the status of
13	completing the dredging at Stony Brook
14	Harbor?
15	MR. MULE: That I do not know.
16	MS. VILORIA-FISHER: The dredging
17	was just finished.
18	CHAIRMAN SWANSON: It's gone?
19	MS. VILORIA-FISHER: It's gone. I
20	have gotten calls on it.
21	CHAIRMAN SWANSON: You have?
22	MS. VILORIA-FISHER: Yes, calls
23	about midnight noise and the smell of
24	diesel, so I had a very long talk
25	regarding this situation. My

1	CEQ Meeting 120810
2	legislation, which calls for diesel, has
3	a very strong smell. They work as much
4	as can be done economically, so we're
5	reviewing what the dredging company has
6	done and there's going to be talks about
7	that when we come back with that
8	information.
9	CHAIRMAN SWANSON: One of things,
10	if you could inquire, is I got a call on
11	Monday saying that there were boons
12	(Phonetic) placed out over some of the
13	wetlands over in the vicinity of where
14	the Mercer property is over at Stony
15	Brook Harbor and the question was what
16	was going on that would require that?
17	Did they spill something or was there
18	hydrologic
19	MS. VILORIA-FISHER: I have not
20	gotten any information about that.
21	CHAIRMAN SWANSON: Can you ask what
22	they were trying to do? Maybe it was
23	totally unrelated. I don't know.
24	Mike?
25	MR. KAUFMAN: We need a motion.

1	CEQ Meeting 120810
2	I will make the motion to accept
3	staff recommendations.
4	MS. GROWNEY: Second.
5	CHAIRMAN SWANSON: Anything
6	further?
7	(WHEREUPON, there was no response
8	from the Council.)
9	CHAIRMAN SWANSON: All in favor?
10	(WHEREUPON the Council voted.)
11	CHAIRMAN SWANSON: Opposed?
12	(WHEREUPON, there was no response
13	from the Council.)
14	CHAIRMAN SWANSON: Motion carries.
15	Unlisted Actions: Proposed
16	Declaration of 95.3 acres of Commercial
17	Zoned Property surplus/offer for sale,
18	Town of Brookhaven. This is a tabled
19	project.
20	Is there anything new?
21	MR. KAUFMAN: I spoke to
22	Legislature Kennedy a couple of days ago
23	as to what was going on with this. As
24	you know, all legislative resolutions
25	that are not passed basically expire at

1		CEQ Meeting 120810
2	tl	ne end of the year, if I remember
3	C	orrectly.
4		MS. VILORIA-FISHER: Not this year.
5	Ιt	t's not an election year.
6		MR. KAUFMAN: Not this year? It's
7	no	ot an election year? So they're still
8	οι	it there?
9		MS. VILORIA-FISHER: Yes.
10		MR. KAUFMAN: He's not doing
11	ar	nything on it right now. We would like
12	to	have it tabled.
13		CHAIRMAN SWANSON: Do we need a
14	mc	otion to continue tabling it or does it
15	ju	ast stay on the table?
16		MR. BAGG: Just stays on the table.
17		CHAIRMAN SWANSON: Thank you,
18	Mi	chael.
19		Now, Proposed Storm Water
20	Re	emediation to the Yaphank Lakes and
21	Ca	rman's River at County Road 21.
22		MR. MACKEY: Good morning,
23	ev	veryone. My name is Russ Mackey,
24	М -	A-C-K-E-Y. I am Senior Civil Engineer
25	wi	th the Department of Public Works.

1	CEQ Meeting 120810
2	Here today to present this is the
3	County's consultant, Bob Steel from LKMA
4	who will further describe the project.
5	MR. STEELE: MY name is Bob Steele .
6	The purpose of this project is to
7	address three direct stormwater
8	discharges that are occurring along the
9	corridor of CR 21. I will start by
10	describing the first one that occurs at
11	the Mill Road culvert just down stream
12	of the upper lake upper Yaphank Lake.
13	The existing condition in this watershed
14	is that water from Main Street County
15	Road 21 and water from Yaphank Middle
16	Island Road come down and get collected
17	by a few catch basins near the Mill Road
18	culvert and get directly discharged into
19	the abutment just down stream of the
20	culvert. So, what we did is we
21	calculated the water quality volume
22	which is 1.2 inches of rainfall that
23	would fall on the roadway, and what
24	we're proposing is to provide enough
25	leaching basins located throughout the

1	CEQ Meeting 120810
2	corridor and capture the water quality
3	volume as much as we can and then to
4	retrofit the existing drainage system,
5	which consists of catch basins and pipes
6	with a Best Management Practice called a
7	snout device. What this snout device
8	does is it acts like a baffle (Phonetic)
9	so water goes into the catch basins.
10	Any floatable or debris that fall into
11	it, will be protected or prevented from
12	going into the drainage system and will
13	be stored inside the catch basins for
14	removal. So this is the first location
15	that we
16	CHAIRMAN SWANSON: May I ask you
17	why only 1.2 inches of rainfall?
18	MR. STEELE: Well, 1.2 inches of
19	rainfall is the water quality volume as
20	described by the New York State DEC from
21	the New York State Stormwater Manual to
22	provide that's the amount of rainfall
23	for 90 percent of the storms on Long
24	Island are less then. So what we're

doing is trying to find a budgetary

1	CEQ Meeting 120810
2	number for the amount of rainfall that
3	would occur for 90 percent of the
4	rainfalls. This system that we're
5	providing is going to capture and treat.
6	It is cost prohibited to provide storage
7	in leaching basins at least for a system
8	that's bigger.
9	MR. GULBRANSEN: Isn't it also true
10	that with the first half inch or inches
11	of rain with stuff is what we're trying
12	to get?
13	MR. STEELE: Yes. The first flush
14	over of rainfall over time collects most
15	of the oils and the pollutants and the
16	sediment which carries the pollutants.
17	That's where the biggest concentration
18	of pollutants are located.
19	CHAIRMAN SWANSON: Vivian has a
20	question.
21	MS. VILORIA-FISHER: How much
22	maintenance is required? How often does
23	it have to be cleared?
24	MR. STEELE: Each

MS. VILORIA-FISHER: I guess it

1	CEQ Meeting 120810
2	depends on how much rain occurs.
3	MR. STEELE: Each location
4	whenever you put a best management
5	practice like vortechnic system or a
6	snout, it depends on the decided cells.
7	Monitoring of the system to see how fast
8	it fills up with floatables and debris,
9	is always needed because every site
10	collects a different amount of trash.
11	It is really hard to say how long it
12	would be until it needs to be cleaned,
13	but the best thing we can do is have the
14	maintenance crews keep an eye on it and
15	get a feel for when it needs to be
16	cleaned every six months and if they
17	go every six months, and they notice it
18	is already filled up, then they need to
19	go every three months.
20	CHAIRMAN SWANSON: Rich?
21	MR. MARTIN: Historic information
22	wasn't complete in the application. The
23	whole project runs through the Town of
24	Brookhaven's Historic District and the

east end of Yaphank Avenue. The corner

1	CEQ Meeting 120810
2	of Main Street and Yaphank Avenue is the
3	Suffolk County Historic District.
4	There's an additional national register
5	property which is called the Hawkins
6	House. That was not identified yet.
7	Also, the Historic Society is aware of
8	this project. We support it, but at
9	some point it would be good if they
10	could take a look at this project. The
11	president wanted to be here today, but
12	couldn't make it. They wanted to see
13	how this is impacting their property
14	because the right-of-way especially at
15	the east end of this project is actually
16	on the County the County ownership is
17	actually on people's front lawn so they
18	might have some comments.
19	MR. KAUFMAN: The format should be
20	corrected the EAF. I think it should
21	be corrected to reflect that information
22	about the existing historical corridors.
23	CHAIRMAN SWANSON: Gloria?
24	MS. RUSSO: Bob, I know the County
25	has used the Vortechnic system for other

1	CEQ Meeting 120810
2	stormwater projects brought forth by
3	DPW. As for the new snout one, have you
4	used this one before?
5	MR. STEELE: Yes. It's basically a
6	more cost efficient way to provide some
7	treatment to the smaller areas. The
8	vortechnic system would be used when
9	you're providing treatment for a whole
10	watershed or any other \$75,000
11	vortechnic system verses a \$500 snout.
12	CHAIRMAN SWANSON: Michael?
13	MR. KAUFMAN: Lower lake and upper
14	lake are both subject to pollution and
15	evasive species. There's a lot of it
16	out there right now to do some
17	restoration work out there. I know
18	speaking with Charlie Guthrie (Phonetic)
19	at the DEC, basically, it comes down to
20	poisoning the lake to get rid of the
21	evasive species and dredging it to a
22	fair degree because there has been a lot
23	of infiltration of storm sediments or
24	sediments brought in by the stormwater,

et cetera. The plan that you have

1	CEQ Meeting 120810
2	before us looks, to my eye, like it's
3	trying to address those particular
4	issues and may be moving forward to plug
5	up the gaps, if you will, which causes
6	stormwater sediments to go into the
7	lake. Is that part of the planning that
8	you guys have been trying to do? Have
9	you been coordinating basically with DEC
10	to try and eliminate some of the past
11	problems?
12	MR. MACKEY: That is more of a
13	question for the Department of Water
14	Quality and the projects that the DPW is
15	bringing forward. I am going to assume
16	that they're coordinating this with that
17	project which has come down through
18	them. The Department of Water Quality
19	has overlooked this project and was
20	approved as far as the Department of
21	Public Works is concerned.
22	MR. KAUFMAN: So you don't know
23	then if these are the primarily points
24	for stormwater sediment?

MR. MACKEY: I am going to assume

1	CEQ Meeting 120810
2	that part of this is that this is the
3	County's area. There are other areas
4	which are the Town of Brookhaven's which
5	we don't have jurisdiction over, and we
6	can't do anything from what I have seen.
7	From the plans coming through, these are
8	the major points of discharge from the
9	county road system into the lake and
10	that's what we're trying to take care
11	of.
12	MR. BAGG: I might point out that
13	the CEQ, as well as the County
14	Legislature probably about 15 years ago
15	came out with a policy to eliminate
16	direct discharge of run-off surface
17	water and the Department of Public Works
18	has been trying to do that. This is in
19	line with that original directive.
20	MR. KAUFMAN: They're trying to do
21	the same thing at Peconic right now to
22	eliminate the discharge coming off the
23	County roads.
24	So, this is well in keeping with
25	that. I guess my basic question is how

1	CEQ Meeting 120810
2	closely was this coordinated, I guess,
3	with water quality to make sure that
4	these are County impacts upon lower and
5	upper lakes whether these are the best
6	locations for catching what they can?
7	MR. MACKEY: They do an engineer
8	inspection within the Water Quality
9	Department. They found a direct
10	discharge into the lake area and they're
11	you know, putting these systems to
12	prevent further discharge.
13	MR. GULBRANSEN: So to finish the
14	overall process, we're trying to
15	eliminate or decrease the amount of
16	stuff that gets into the lake such as
17	sediments and floatables and high
18	carbons in the water. So the two
19	questions I have about a major
20	elimination taking place is that one of
21	them is the MS-4 Program. We heard from
22	them and we heard from their they
23	have a lot of trucks that can do the
24	suck out but they're limited on staff.
25	So they actually talked about how they

1	CEQ Meeting 120810
2	couldn't get to all these places that
3	already wanted to monitor.
4	MR. MACKEY: I believe so. To my
5	knowledge, we have three trucks. As far
6	who is monitoring that program, I
7	believe it is the Division of Highways.
8	I am unfamiliar with it so I can't speak
9	for them because I haven't anything I
LO	say is speculative.
L1	MR. GULBRANSEN: So we will go back
L2	to them and see if see if it comes
L3	down to the fisher's point. It is all
L4	about maintenance. We can put it in but
L5	unless you yank the stuff out, it is
L6	going to get in there.
L7	The second part of eliminating it
L8	is for the stuff that dissolves, if it
L9	goes into a catch basin, it's all sandy
20	there. Does it actually get all the way
21	down? Does it go down a little bit and
22	then come out into the lake through
23	groundwater? Do we know what the
24	groundwater

MR. STEELE: Well, the leaching

1	CEQ Meeting 120810	
2	basins will leach into the sand.	
3	MR. GULBRANSEN: Will it keep goi	.ng
4	down or will it hit a clay area and to	ırn
5	left and come out?	
6	MR. STEELE: It eventually hits th	ıe
7	groundwater.	
8	MR. KAUFMAN: Tom, that's why we	
9	have depth of sand in there a couple of	f
10	feet down to catch those particles and	l
11	add absorption whenever possible as	
12	opposed to the upper layers and that's	;
13	why you scrap out basins like that eve	ry
14	once in a while.	
15	MS. VILORIA-FISHER: Tom, to answ	er
16	your question, we don't have enough	
17	staff and that's why it is a concern.	
18	Staff levels are very low due to	
19	budgetary issues, so that's definitely	r a
20	concern.	
21	As far as the water quality	
22	provision, this being funded through	
23	477; isn't it?	
24	MR. MACKEY: I don't know what 47	7
25	is.	

1	CEQ Meeting 120810
2	MS. VILORIA-FISHER: It comes
3	before the Water Quality Commission.
4	MR. MACKEY: Yes, this has to go
5	before the Water Quality Commission to
6	get them to accept it.
7	MS. VILORIA-FISHER: So then it
8	will there will be the interaction
9	between DPW and the Water Quality
10	Division. Gill sits on the Water
11	Quality Review Committee. So if you're
12	at this point and the planning has been
13	done, then so has the water quality
14	project.
15	MR. MACKEY: Yes, as far as the
16	capital project, the numbers are done,
17	yes.
18	MS. VILORIA-FISHER: So it is under
19	477.
20	CHAIRMAN SWANSON: Just a follow up
21	on that.
22	In your section, Page 13, under
23	Impact on Water it says, "List other
24	impacts" and then it says "Beneficial
25	impacts of water quality and wetlands

1	CEQ Meeting 120810
2	associated with Carman's River and upper
3	and lower lakes will be achieved, " but
4	then you only say it's going to be a
5	small to moderate impact. So I am
6	wondering if some of these other issues
7	of can you keep things clean? Is
8	that groundwater going to go into the
9	lake and so forth? If you're only
10	anticipating a small impact, why are you
11	doing it?
12	MR. MACKEY: Well, again, we don't
13	know where all the other discharges come
14	into the watershed area. We can only
15	talk about the County roads that are
16	doing it. So we're making it a benefit
17	to the County roads to say that what
18	we're doing is going to make a huge
19	impact. It could be false not knowing
20	where all the other watersheds that come
21	in off of the town roads or further up.
22	So if we made that a statement a large
23	impact, I think, that would be kind of
24	inappropriate to say. We're making the

best impact that we can.

1	CEQ Meeting 120810
2	CHAIRMAN SWANSON: This is one of
3	many small contributing areas?
4	MR. MACKEY: Yes, exactly. We have
5	two other locations.
6	MR. BAGG: Larry, I live just north
7	of there and that particular area
8	receives a lot of runoff because it goes
9	all the the sediment from the road
10	comes right down into there and runs
11	right into that bridge.
12	MR. STEELE: This project not only
13	provides stormwater quality treatment.
14	It's also improving the safety of
15	transportation because a lot of water
16	from Main Street and County Road 21 was
17	rushing across the roadway where a super
18	elevated roadway occurs. So this will
19	knock down the amount of water that's
20	actually forcing across the roadway from
21	the storms. It has others reason for
22	doing it, as well.
23	The second location is further east
24	on the project near the Hawkins.
25	MR. MARTIN: I just want to point

1	CEQ Meeting 120810
2	out that it is the County's property.
3	That is someone's front lawn. The
4	County purchased that right-of-way years
5	ago. It is an access road to the
6	Expressway. The Hawkins House and the
7	Police Museum on the corner was also
8	dedicated as a historical trust
9	property. So, the Hawkins House just
10	north of that is the Police Museum Annex
11	which is also a dedicated property.
12	They're all within this right-of-way of
13	the road, but many people don't realize
14	that it extends upon people's front
15	lawns.
16	MR. MACKEY: I believe this here is
17	the blue line. (Indicating.)
18	CHAIRMAN SWANSON: The concern is
19	that the neighbors don't really
20	appreciate the fact that the County owns
21	the property.
22	MR. MARTIN: You can say that
23	again.
24	Also, as we review this, and I
25	didn't bring it up last time and I

1	CEQ Meeting 120810
2	should have, but I wasn't aware that
3	when the Road Widening Project review
4	said this was an existing right-of-way,
5	they were including this right-of-way on
6	people's front lawns. The County
7	purchased this years ago. They weren't
8	purchasing any new property, but the
9	existing does extend to people's front
10	lawns, and they have since met with the
11	Historic Community and modified that and
12	pulled it back a little bit from our
13	initial review.
14	CHAIRMAN SWANSON: So the County is
15	trying to be good citizens?
16	MR. MARTIN: Yes. The historic
17	site is also the site of a strong
18	support group that will advocate for
19	this property. I think the people just
20	need to know about the design.
21	MS. GROWNEY: Approximately, how
22	much does the County go in? They go in
23	20 feet or 30 feet?
24	MR. MARTIN: It varies.

MR. STEELE: It looks to be about

1	CEQ Meeting 120810
2	30 feet.
3	MR. MARTIN: The Road Widening
4	Project, as we reviewed it, was going
5	right over people's stoops and that's
6	what was modified and pulled back.
7	MS. VILORIA-FISHER: Wow, so these
8	people have been living in theses houses
9	yet they're not paying taxes on their
10	whole front lawn.
11	(WHEREUPON, there was laughter.)
12	MS. VILORIA-FISHER: Yet they're
13	claiming rights on it.
14	MR. KAUFMAN: Thank you, Ms. Levy.
15	(WHEREUPON, there was laughter.)
16	MS. GROWNEY: That's very perkily.
17	CHAIRMAN SWANSON: Just to follow
18	up a little bit, how does the Road
19	Widening Project intersect with what
20	we're seeing here? Are they
21	coordinated?
22	MR. MACKEY: They're pretty much
23	coordinated. This here is the road
24	widening. This is the curb that goes

right into here. (Indicating.) You can

1	CEQ Meeting 120810
2	see we're not really touching anything
3	that they're doing or what we're doing.
4	MR. MARTIN: Were you involved with
5	the meeting with the committee?
6	MR. MACKEY: No, that was Highway
7	Design that is doing that.
8	CHAIRMAN SWANSON: Sorry to keep
9	interrupting you.
10	MR. MACKEY: That's okay.
11	CHAIRMAN SWANSON: Gloria?
12	MS. RUSSO: So the homeowner that
13	lives there really their front lawn
14	belongs to the County and not to them;
15	are they aware that this project is
16	coming along?
17	MR. MACKEY: I don't know. I
18	wasn't at the meeting to be honest with
19	you. This is actually in separate
20	locations. We're not really in front of
21	anybody houses.
22	MS. RUSSO: Well this one is; isn't
23	it?
24	MR. MACKEY: We haven't notified
25	this person here. (Indicating.) I

1	CEQ Meeting 120810
2	haven't I don't know what was said at
3	the meeting. I was not there.
4	MS. VILORIA-FISHER: I didn't go to
5	the meeting.
6	MR. MARTIN: I don't think they're
7	aware.
8	CHAIRMAN SWANSON: It's important
9	that they be notified. At least if
10	they're notified, they can react. So,
11	whatever we agree to do, we have to
12	somehow establish communications with
13	these people.
14	MR. BAGG: They did that with the
15	realignment of the road, and we can do
16	the same thing with this specific
17	project and we can suggest that the
18	historic society and the adjacent
19	property owners be informed of the
20	project the one's that are going to
21	be impacted.
22	MR. GULBRANSEN: The fact of the
23	matter is, if they were sitting right
24	here, you have to put that structure
25	where the pipes are. Pretty much,

1	CEQ Meeting 120810
2	you're already where it needs to be.
3	You're not doing something which can't
4	be backed over. It has to take
5	presence.
6	MR. MACKEY: It will be buried.
7	MR. GULBRANSEN: You have to
8	maintain it.
9	MR. MACKEY: They maintain it with
10	manholes.
11	MR. GULBRANSEN: So it will be
12	capped?
13	MR. MACKEY: Yes.
14	MR. KAUFMAN: You're not going to
15	see it?
16	MR. GULBRANSEN: They have to be
17	informed. What would you do if it were
18	your own house?
19	MR. MARTIN: It just needs to be
20	explained to them so they know.
21	CHAIRMAN SWANSON: Okay. Let's
22	move on.
23	MR. STEELE: In this case, this is
24	a little bit bigger watershed. So using

the leaching basin approach would have

1	CEQ Meeting 120810
2	been a lot more extensive, and over here
3	is where the pipe drainage system will
4	go along. (Indicating.)
5	MS. RUSSO: That's feeding your new
6	unit?
7	MR. STEELE: Yes. So, in this
8	case, let's just this is the extended
9	positive drainage system that eventually
10	goes down the side of this person's
11	property and discharges into the lake.
12	So, in this case, we're proposing to
13	provide we talked about before the
14	vortechnic stormwater treatment system.
15	MS. GROWNEY: So as I understand
16	it, this discharge system is going to go
17	down into the lake, is that County
18	property also at that point or is that
19	permission from the homeowner?
20	MR. STEELE: We believe there is an
21	easement there.
22	MS. GROWNEY: Okay, so there is
23	easement there?
24	MR. MACKEY: Yes, there is.
25	We're not touching the pipe. We're

1	CEQ Meeting 120810
2	not doing anything. This is a system
3	that you tap into the pipe and it's
4	already there.
5	MS. GROWNEY: Oh, it's already
6	there?
7	MR. STEELE: Yes, the yellow piping
8	is already there. We're just
9	retrofitting the existing system and
10	providing stormwater treatment.
11	MS. GROWNEY: How old is the pipe?
12	MR. STEELE: It's probably we
13	didn't inspect the structure and the
14	pipes.
15	MS. GROWNEY: All the way through?
16	MR. STEELE: Not all the way
17	through, but we didn't video inspect it.
18	We did inspect the concrete catch basins
19	and the opening of the pipe and they're
20	actually in very good condition.
21	MS. GROWNEY: So we don't know if
22	that pipe actually goes all the way, do
23	we?
24	MR. STEELE: It's not flooding
25	SO

1	CEQ Meeting 120810
2	MR. KAUFMAN: The real trick is, is
3	there water coming out of it? If it
4	storms, that's how you judge it.
5	CHAIRMAN SWANSON: Exactly.
6	MS. GROWNEY: I was just asking.
7	MR. STEELE: So that's basically
8	I could describe what the vortechnic
9	system is, if you'd like?
10	MS. GROWNEY: Yes, please.
11	MR. MARTIN: Is that your last
12	panel?
13	MR. STEELE: No, there's one more.
14	MR. MACKEY: This vortex system is
15	being used currently in many other
16	locations throughout the County. It is
17	nothing new. It is just one of those
18	practices that the County uses.
19	MR. STEELE: What the vortechnic
20	system is very good at, is it removes a
21	lot of sediment that is in the water.
22	The sediment, that it's capable of
23	removing based on the test that they do
24	is 80 percent of the total suspend
25	solids in the water. The vortechnic

Т	CEQ Meeting 120810
2	system all these systems work a
3	little bit differently, but this system
4	uses a swirl chamber so the water comes
5	in and swirls around the first
6	compartment of the chamber and the
7	sediment collects on the bottom. So if
8	you ever swirled sand around in a glass,
. 9	you can see how it collects around the
10	bottom.
11	After the water swirls around the
12	first chamber, it goes through a baffle
13	sytem where the snout keeps the
14	floatables and oils inside the
15	stormwater treatment sytem and then the
16	clean water will come out and continue
17	down stream.
18	MS. GROWNEY: The third chamber is
19	to be clean water?
20	MR. STEELE: Hopefully.
21	This is the last location which is
22	on Yaphank Avenue just north of the Long
23	Island Expressway. At this location,
24	there is no drainage system. There is
25	no pipe that directly discharges into

1	CEQ Meeting 120810
2	the lakes. In several of the areas,
3	going towards the lakes, water will just
4	sheet flow into the grass; so it is not
5	a direct flow on the northern sections.
6	On the southwest section of the
7	roadway, it is already fitted with
8	leaching basins which collects the water
9	before it goes any further towards the
10	lake. What we're proposing here is the
11	remaining sediments the remaining
12	shoulder of the roadway, we've found
13	that the existing shoulder because of
14	heavy flow that comes down towards the
15	Long Island Expressway is being eroded
16	and you can see that from the pictures.
17	People park here when they go fishing
18	and the sediment, when it rains heavily,
19	is taken out onto the shoulder and down
20	towards Carman's River. A solution that
21	we have proposed would involve
22	installing two leach basins in the
23	roadway which would capture a percentage
24	of water and then constructing a

pervious pavement treatment which they

1	CEQ Meeting 120810
2	call grass creek to provide both a place
3	for cars to park when they use the
4	fishing area, and also to provide a
5	system that would infiltrate the rain
6	water before it goes any further.
7	This system is interesting because
8	it allows the grass to grow through the
9	concrete voids the voids in the
10	concrete but it will also allow the
11	grass to live when the cars are park on
12	it. So it doesn't allow the grass to
13	get crushed. It will almost be
14	invisible once we get it established.
15	MS. RUSSO: How wide is that?
16	MR. STEELE: This parking area?
17	MS. RUSSO: Yes.
18	MR. STEELE: I think it is eight
19	feet.
20	MS. RUSSO: Has the County used the
21	grass product before?
22	MR. STEELE: New York State has.
23	MS. RUSSO: What were the results?
24	MR. STEELE: I think they're happy
25	with the results of it. They used it

1	CEQ Meeting 120810
2	for parking lots initially.
3	MS. RUSSO: How many inches of
4	sediment goes on
5	MR. STEELE: It is built on crush
6	stone and infiltration of water.
7	MS. RUSSO: Ideally, to use such a
8	product and how it works, optimally,
9	what is the typical depth of groundwater
10	that we should have before we put this
11	in?
12	MR. STEELE: About two feet but we
13	have a lot more than two feet. We have
14	a lake on one side and then by Carman's
15	River, there is a big drop off on this
16	side of the creek.
17	MS. RUSSO: So there is enough
18	room?
19	MR. STEELE: Yes, definitely.
20	MS. GROWNEY: So there's no issue
21	with speed or anything seeing we go
22	full
23	MR. STEELE: Well, one reason why
24	we collect this over a lot of other
25	pervious pavement systems is because it

Δ .	CEQ Meeting 120810
2	is articulated concrete and there are
3	some plastic products out there, but
4	this is actually poured into place and
5	it's reinforced. Our main concern was
6	with snowplows and preventing
7	providing something stronger enough to
8	withstand the impact of the snowplow and
9	this will.
10	MR. MARTIN: Has this been reviewed
1,1	by the Department of Public Works and
12	submitted to Gill Anderson because this
13	concern with the traffic and the
14	fisherman crossing the road at that
15	point; is that something everyone is
16	comfortable with?
17	MR. MACKEY: I believe so. It's
18	not just even if we don't want people
19	parking, people will park there. This
20	is a way to stabilize the area as
21	opposed to people parking and cars
22	ripping up any grass or anything else we
23	plant there. Whether they do or don't,
24	obviously, it is an enforcement issue

and people are going to keep doing it

1	CEQ Meeting 120810
2	whether we say do it or don't do and at
3	their own risk, obviously.
4	MR. MARTIN: There's been no
5	discussions of putting a guardrail there
6	and blocking the parking there?
7	MR. MACKEY: We usually don't put
8	guardrails up because guardrails are not
9	warranted because of we were asked
10	not to do because I am trying to
11	think of the words off the top of my
12	head it is actually a roadside
13	hazard.
14	MR. MARTIN: I just want to bring
15	up the fact that there is traffic there
16	and it is extreme the truck traffic
17	now is extreme. I just want to know if
18	that's all been reviewed.
19	MR. MACKEY: It's been thought
20	about. As far as what other measures
21	that they are going to do, I am
22	unfamiliar with it but I am sure if Gill
23	was involved, it would come down and
24	have been spoken of.

CHAIRMAN SWANSON: What is the cost

1	CEQ Meeting 120810
2	of the square footage of the grass
3	creek? I guess that's what you called
4	it.
5	MR. STEELE: The total cost of this
6	was \$18,0000.
7	CHAIRMAN SWANSON: For how many?
8	MS. GROWNEY: For that strip?
9	MR. STEEL: Yes. I have with me
10	MS. SPENCER: 190 by 80 feet.
11	CHAIRMAN SWANSON: What did he say
12	the cost was?
13	MS. GROWNEY: \$18,000.
14	CHAIRMAN SWANSON: \$18,000 for a
15	couple of hundred feet?
16	MS. GROWNEY: 1500 square feet.
17	MR. MACKEY: New York State prices
18	are usually a lot more higher than what
19	we get just because the State has
20	different
21	MS. GROWNEY: Is there any signage
22	planned such as "Park at your own risk?"
23	MR. MACKEY: The County can't
24	it's a local enforcement. The County,
25	to my knowledge, doesn't have the

1	CEQ Meeting 120810
2	authority make parking enforcement
3	rules.
4	CHAIRMAN SWANSON: Thank you.
5	Unlisted Action we have a motion
6	·
7	MR. KAUFMAN: I shall make the
8	motion for an Unlisted Negative
9	Declaration.
10	MS. GROWNEY: I will second it.
11	CHAIRMAN SWANSON: We have a motion
12	and a second.
13	Gloria?
14	MS. RUSSO: I think we should just
15	say you know, it was a good point
16	that Rich brought up as far as the
17	Historic District and the homeowner's
18	property that will be damaged when they
19	put that in, but I think they should
20	notify the homeowner and notify the
21	Historic District and any property
22	owners before we get started.
23	MR. KAUFMAN: I accept.
24	CHAIRMAN SWANSON: I got it. So we
25	had a motion and a

1	CEQ Meeting 120810
2	MS. VILORIA-FISHER: I just want to
3	clarify that. You were adding that we
4	should
5	MS. RUSSO: Notify the Historic
6	District and the homeowner's, who think
7	it's their property but it's really the
8	County's, where the vortechnic system
9	will be put in.
10	MS. VILORIA-FISHER: I just wanted
11	to make sure I had that.
12	MR. MARTIN: Yes, the Yaphank
13	Historical Society, as well.
14	MS. VILORIA-FISHER: Okay, so there
15	is three that should be notified.
16	MR. KAUFMAN: As amended, that's my
17	motion.
18	MS. GROWNEY: I second it.
19	CHAIRMAN SWANSON: Any further
20	discussion?
21	(WHEREUPON, there was no response.)
22	CHAIRMAN SWANSON: All in favor?
23	(WHEREUPON, the Council voted.)
24	CHAIRMAN SWANSON: Motion carries.
25	We have the CEQ meeting schedule

1	CEQ Meeting 120810
2	which has been proposed. I presumed
3	that it is every third Wednesday with
4	the exception of December.
5	Do you want to vote on that now?
6	MR. MULE: May as well.
7	CHAIRMAN SWANSON: Do we have a
8	motion to accept the proposed schedule?
9	MS. SPENCER: Motion.
10	MS. RUSSO: I will second it.
11	CHAIRMAN SWANSON: All in favor?
12	(WHEREUPON, the Council voted.)
13	CHAIRMAN SWANSON: Opposed?
14	(WHEREUPON, there was no response
15	from the Council.)
16	CHAIRMAN SWANSON: Motion carries.
17	Now we have to talk about going
18	digital with the Minutes.
19	MS. VILORIA-FISHER: Motion to
20	accept that.
21	(WHEREUPON, there was laughter.)
22	MR. BAGG: Let's look into that.
23	MS. VILORIA-FISHER: We already
24	talked about this.
25	MR. MULE: Right now the charter

1	CEQ Meeting 120810
2	states that we need to keep verbatim
3	minutes. You were going to look into
4	MS. VILORIA-FISHER: Oh, that's
5	right. I didn't do my homework, did I?
6	MR. MULE: Christine and I spoke to
7 .	the clerk over at the Legislature.
8	Apparently, they're using some digital
9	recording for their minutes. I am still
10	trying to check and see if we will be
11	able to post the minutes on our website.
12	Our minutes shouldn't be a problem, but
13	I haven't heard back from IT yet. We can
14	still go ahead and for this meeting,
15	instead of moving forward with the
16	meeting summary for you guys to review
17	and vote on it. But as far as the
18	verbatim minutes goes, it's still up in
19	the air if we're going to continue with
20	transcripts written transcripts or go
21	with a digital version which we can
22	transcribe as needed.
23	CHAIRMAN SWANSON: Explain how that
24	works?

MR. MULE: Basically, it is a

1	CEQ Meeting 120810
2	digital tape recorder. We would have to
3	be more conscious of speaking over each
4	other and identifying ourselves before
5	we speak. It would be up to you guys if
6	you wanted to do that.
7	CHAIRMAN SWANSON: We would still
8	have somebody from your office that
9	would
10	MR. MULE: Do a meeting summary,
11	correct.
12	CHAIRMAN SWANSON: (Continuing)
13	try and clarify the confusion on the
14	tape?
15	MR. MULE: Yes, but
16	CHAIRMAN SWANSON: We still need
17	them.
18	MR. YOUNG: I went back and looked
19	at the resolution from 2002. The
20	reasons, which I gave, are that you may
21	need legislative action to do away with
22	verbatim minutes. The verbatim has
23	always meant or taken to mean
24	"word-by-word" transcripts. It was a
25	policy decision when the Legislature did

1	CEQ Meeting 120810
2	what they did, and they gave reasons in
3	the original bill, but they may or may
4	not hold true today. That's something
5	that the Legislature has to address.
6	MR. GULBRANSEN: When you have
7	digital recording, you feed that into a
8	listening piece of software and it turns
9	into a typeable translation of that
10	it's not perfect but what is verbatim?
11	Is that legally verbatim?
12	MR. YOUNG: Verbatim is defined as
13	"word-by-word" and it always has been
14	taken to be transcribed or written. Now
15	policy decisions have to be made you
16	know, if you have it on a recording,
17	it's obviously going to be harder for
18	the public to really go through because
19	instead of being able to pick out
20	something that they're interested in and
21	go right to it, you now have a tape
22	that's going to be there.
23	MS. RUSSO: Tom, you just said
24	MR. GULBRANSEN: Our current
25	transcription is not always surgical.

1	CEQ Meeting 120810
2	If you type in word, it doesn't
3	necessarily find that word. You can
4	make it do that, but I don't know what
5	verbatim means from a legal perspective.
6	I am just pointing out that you can take
7	up digital sound tracking and turn it
8	into words.
9	CHAIRMAN SWANSON: Vivian?
10	MS. VILORIA-FISHER: Tom, actually
11	at the public hearings when we were
12	running low on our budget particularly
13	with the Task Force, we used a digital
14	recorder. It satisfied the verbatim
15	components of the public hearing because
16	it was digitally transcribed. You have
17	the tape record, you hook it up into the
18	computer, and you upload to the website
19	the County website. To tell you the
20	truth, the transcribable minutes the
21	steno minutes here are something that we
22	do review and when we review the
23	minutes, they don't always give the
24	names correctly or the words that were

said; so there could be mistakes here

1	CEQ Meeting 120810
2	and there. I thought it satisfied
3	verbatim because it's actually recording
4	the voices and uploading them digitally.
5	It's just different technology.
6	MR. YOUNG: An issue we have to
7	look to oversee accessibility. I mean,
8	if you're going to say you're going to
9	use a machine that's going to print it
10	out word-for-word and that word-for-word
11	is going to be available at all times,
12	then that may be a different story.
13	MS. VILORIA-FISHER: It's the same
14	availability.
15	MR. YOUNG: Yes, but the
16	availability is that you're supposed to
17	get the minutes passed on a motion. The
18	public if someone wants the minutes
19	there's a difference between the
20	verbatim in writing because if someone
21	was interested in one issue that was
22	discussed at the meeting, it's accepted
23	and accessible to them without listening
24	to a two hour tape. That would be
25	another issue.

1	CEQ Meeting 120810
2	MS. GROWNEY: I think what you're
3	saying is transcribed means it still can
4	be transcribed into a written format
5	from the digital thing and that then can
6	be posted or printed. So, I think, it's
7	the transcribing thing that's kind of
8	MR. KAUFMAN: I have a problem in
9	two respects:
10	One, how accurate are these
11	systems? When I used them or I have
12	seen them used in court, I have actually
13	found them not to be all that accurate.
14	In terms of spelling, they're useless.
15	In terms of complicated words, they're
16	useless. If you have more than three to
17	four syllables, forget it. They're not
18	necessarily that accurate. Now, we
19	don't always talk in three or four
20	syllables but the question of accuracy
21	does come up.
22	MR. GULBRANSEN: It starts with a
23	microphone.
24	MR. KAUFMAN: Right, we each have

to wear a microphone -- nine of us, et

	93
1	CEQ Meeting 120810
2	cetera.
3	MR. MULE: I think we're looking
4	more into keeping it as an audio file
5	and posting the audio file and should we
6	need the written transcript for one
7	reason or another, we can go back and
8	manually listen to it.
9	MR. KAUFMAN: I hear what you're
10	saying, and it would be nice to have the
11	digital system so we can see something.
12	The second question is the approval
13	process. I mean memories do fade after
14	a while sometimes and if we don't if
15	we have it on a tape and if we don't
16	necessarily have it in a format that we
17	can see it let's just say the digital
18	only goes so far I actually do read
19	the minutes. I actually will print them
20	out occasionally, and I am not sure how
21	we can approve what happened especially
22	if we start going by memory without

transcript. I have no problem with it being on the computer, but I am very

having some sort of a written

1	CEQ Meeting 120810
2	concerned in terms of the approval
3	process.
4	CHAIRMAN SWANSON: For 2,000 years
5	and probably longer we were able to do
6	this without transcriptionist. People
7	kept records of meetings and what went
8	and probably better than what we're
9	doing with the transcribed stuff. My
10	problem with what we're doing today with
11	transcription is that people around this
12	table do not have the time or the
13	inclination to sit down and read 102
14	pages of meetings and as a consequence,
15	we're essentially not telling the truth
16	when we sit and say we approve the
17	minutes because most of us have not read
18	them. To me, it is not an accurate
19	reflection of what went on at the
20	meeting. I want to see that we get
21	something that is efficient and the
22	people that are here who are volunteers
23	have the time to read and understand and
24	get the essence of the meeting.

MR. MULE: Which we will do. We

1	CEQ Meeting 120810
2	will be doing a meeting summary for now
3	on.
4	MS. GROWNEY: Okay.
5	MR. MULE: But the only other
6	question is are we going to continue
7	with the verbatim transcripts or are we
8	going to continue with audio?
9	CHAIRMAN SWANSON: I think it's not
10	up to us. It's up to I think it is
11	up to the Legislature and what they
12	want.
13	MR. YOUNG: In all due respect, in
14	2002 the Legislature passed a bill and
15	they voiced concerns about the minutes
16	and whether they were predated minutes
L7	or whether they were accurate or not.
18	They went to the verbatim format for
19	that reason. It's policy. Just as we
20	listen here as we're talking
21	between the two Mike's were talking and
22	that's not going to be very decipherable
23	off of a tape as to who said what. So I
24	think we have concerns there.

Also, I know as Larry said that it

1	CEQ Meeting 120810
2	is difficult to read all of these things
3	but it's our obligation to read them
4	you know, and to be sure that they are
5	certified minutes.
6	CHAIRMAN SWANSON: Jim?
7	MR. BAGG: In the past before the
8	Legislature passed that resolution for
9	verbatim minutes, the CEQ used to
10	prepare a summary of minutes which was
11	required by Robert's School of Order.
12	It doesn't state verbatim. The minutes
13	are supposed to be a summary of business
14	transacting; not every word and that we
15	used to keep a copy of the audio tape of
16	the meeting, and if we ever had a court
17	case or a litigation case or anybody
18	questioning the minutes, then those
19	audio tapes would be transcribed and
20	given to the County Attorneys Office for
21	entrance into the Court or given to
22	anybody else for clarification. It
23	wasn't done for every meeting and every
24	time at the cost of thousands and

thousands of dollars. I think the

1	CEQ Meeting 120810
2	policy to be able to clarify minutes or
3	find out what was said, if that is
4	retained then, in essence, we're
5	fulfilling the nature of the law and the
6	policy of that law rather than go
7	through all this expense.
8	MR. GULBRANSEN: Coming back to
9	Larry's point, there is a requirement
10	that the body retain a verbatim ability
11	to recall what happened; correct?
12	MR. BAGG: Right.
13	MR. GULBRANSEN: Larry's point is
14	that the way we're doing it now, we're
15	explicitly one of us is agreeing that
16	the record is accurate. I try and go
17	back and read the "Gulbransen" quotes to
18	make sure whatever I tried to say gets
19	un-jumbled because it never comes out
20	the way I am speaking. I definitely can
21	say that I buy off on it and approve
22	those pieces of the minutes that I get
23	to reread. I wonder if this is causing
24	us buy into this and approve this
25	process and that's more than what we

1	CEQ Meeting 120810
2	think we can each do.
3	MR. BAGG: You're probably right.
4	MR. GULBRANSEN: Keeping a record
5	is different from all of us doubling
6	stamping it as verbatim I checked it
7	and I'm buying into every letter of
8	translation.
9	MR. BAGG: I think you're right.
10	MR. GULBRANSEN: Do we have that
11	obligation to certify that document or
12	that it was produced and can be
13	revisited on demand?
14	MR. BAGG: You would have to ask
15	about the law.
16	MR. KAUFMAN: It's not affidavit
17	that you're signing. You're not
18	swearing to anything. You're simply
19	making an approval and that has a lesser
20	burden of standard lesser burden or
21	standard of review and accuracy. Again,
22	if we were putting an affidavit down, I
23	don't know if I could do it because I
24	would be seeing something maybe a month
25	later and trying to go on my own memory.

1	CEQ Meeting 120810
2	What we're doing here is basically
3	approving a general sense, if you will,
4	of the meeting even though we're having
5	every word taken down and hopefully
6	they're accurate and we try and correct
7	what we can. Frankly, you can make the
8	statement that, "Yes, this reflects
9	whatever the general sense is of what's
10	going on" even if Gulbransen spoke in
11	there and it isn't coherent or in my
12	case, definitely not coherent. It's
13	acceptance.
14	MS. VILORIA-FISHER: It's
15	acceptance of the minutes, not
16	verification of the minutes.
17	CHAIRMAN SWANSON: Maryann?
18	MS. SPENCER: I agree with Jim that
19	in the interest of prudent fiduciary
20	responsibility that we certainly examine
21	any legal hurdles, but what I would like
22	to see is way it used to be.
23	MS. VILORIA-FISHER: Tom, what's
24	that IR Resolution Number?
25	MR VOUNG. It's 142202 What

1	CEQ Meeting 120810
2	concerns me is the Legislative Intent
3	because the Legislation also finds and
4	determines that the official minutes of
5	the Suffolk County Council of
6	Environmental Quality did not represent
7	what's been decided by that agency
8	because apparently failure to use
9	verbatim minutes has resulted in
10	inaccurate records as to what has
11	occurred at such meetings. The
12	Legislature finally finds and determines
13	the formal accurate records of the CEQ
14	proceedings should be maintained to
15	allow informed and intelligent public
16	debate of issues of such minutes. They
17	preface that not only flattering remarks
18	before by saying that they're doing this
19	because what you guys are doing is so
20	important that they want to have a clear
21	record of it.
22	MS. VILORIA-FISHER: Just to make
23	it very clear, that was a very political
24	piece legislation by a particular
25	logislator attacking a particular

1		CEQ Meeting 120810
2		decision and it's unfortunate but that's
3		the same particular legislature who has
4		burdened us with the whole issue that
5		we're dealing with the rental properties
6		and some times that's a shooting from
7	·	the hip. Paul Sabatino forwarded the
8		hyperbole wrote that piece of
9		legislation and I will go back and speak
10		with my colleagues about changing it to
11		the kind of more common sense practices
12		that I served on CEQ for three years
13		before that legislation occurred. There
14		was no various timing of what has
15		happened and it was just you know, it
16		was political.
17		CHAIRMAN SWANSON: Michael?
18		MR. KAUFMAN: I would like to say
19		one thing. Larry and I have the
20		greatest length of service on CEQ and I
21		know that when we went to verbatim
22		minutes, there was a certain essence
23		lost at CEQ. Before that, we were a
24		little more freewheeling in our
25		discussions, and I think a lot more

1	CEQ Meeting 120810
2	business transacting. We were able to
3	go into things in a little bit more
4	depth. I always found the requirements
5	to have Larry point out whoever wants to
6	speak and recognize them to be a little
7	bit restricting to put it very, very
8	bluntly. I also felt that we lost
9	something from what we once had.
10	Admittedly, most of group except for
11	Larry and myself post date that
12	particular decision, but if it comes
13	down to a choice of how the group
14	functions, I think that as opposed to
15	having verbatim minutes to the extent
16	that we can have some sort of a record
17	to satisfy the intent of that prior
18	legislation but to regain something that
19	we lost to some degree, I would come
20	down on that side. Frankly, for me, the
21	choice is very, very stark. It's either
22	have the verbatim minutes because I
23	don't trust the accuracy and some of the
24	other stuff going digital or go back to
25	the way we once were which, frankly,

1	CEQ Meeting 120810
2	would be my preference. I think, again,
3	it may restore something we once had and
4	help us out a little bit.
5	MS. GROWNEY: Coming from somebody
6	post time, I completely agree with I
7	don't feel restricted all. I think
8	everyone can see that.
9	MR. KAUFMAN: Compared to the way
10	
11	MS. GROWNEY: But I don't know the
12	way it was before.
13	CHAIRMAN SWANSON: Well, I don't
14	totally agree with Michael. Everybody
15	has to be recognized, otherwise, it is
16	complete chaos. So just to
17	MS. VILORIA-FISHER: Just so I have
18	my direction here and my sense
19	Michael, I think if we work to go back
20	to what it had been, we can satisfy that
21	particular desire; however, we're in new
22	age where people are accustom to going
23	onto the web and being able to find the
24	minutes there, as flawed as they may be
25	because even the stenographic when

1	CEQ Meeting 120810
2	you go read back, you will find names
3	that are miswritten and misspelled and
4	the scientific names are completely out
5	of control but this satisfies both of
6	them. If we have a digital recording,
7	we have a recording that we can save and
8	review. We have the digital transcript
9	and we have the official summary which
10	is what is required by law which is rule
11	of order. So, if we can amend the
12	legislation 2002, which I think has a
13	negative spin to it I mean that's
14	passed language and I think that
15	would is there some kind of sense
16	that, that would satisfy what role we're
17	looking for to have digital recording
18	which would you know, put it on the
19	computer and we have a digital
20	transcript but we have I don't know
21	remember that it is a sort of
22	freewheeling
23	(WHEREUPON, there was laughter.)
24	MR. GULBRANSEN: It would probably
25	help me to know how to do that summation

· 1	CEQ Meeting 120810
2	because therein lies a moment in time
3	when you can either picture at length
4	what the Chairman Kaufmann says or
5	cutback on one sentence which I'm trying
6	to say correctly or you can say, "this
7	is the topic," and "these are the people
8	who spoke to it," and not have the
9	running commentary of that.
10	CHAIRMAN SWANSON: I can tell you
11	that the minutes that we used to get
12	from CEQ were superb, and they reflected
13	the nature of the meeting, as well as
14	what the important decisions were, and
15	also the essence of what the debate was.
16	You get none of that in transcripts.
17	You just get the boring sentences that
18	we all speak.
19	The last thing that I would like to
20	say is that this has no reflection on
21	our Stenographer. Sometimes we're not
22	seeing the stenographic minutes for
23	months and months and if you say we're
24	supposed to recall what happened in

August and December -- you know, you all

1	CEQ Meeting 120810
2	have to be a lot better than I am to
3	recall that kind of debate went on, and
4	I just think it's sort of bogus.
5	Vivian, you have your homework, are
6	you going to do it this time?
7	(WHEREUPON, there was laughter.)
8	MS. VILORIA-FISHER: You know what?
9	We can go back to what I proposed at the
10	meeting, so I did my homework in class.
11	CHAIRMAN SWANSON: We will waive
12	your advice; is that okay?
13	MS. VILORIA-FISHER: I will talk to
14	Counsel.
15	CHAIRMAN SWANSON: Any other
16	business?
17	MR. YOUNG: One other thing is that
18	when you look into that which it may be
19	difficult and one reason it might be
20	hard to make those changes is that the
21	current legislation says you have to get
22	it back in 30 days after the meeting.
23	The official minutes provide copies of
24	such verbatim minutes to the County
25	Executive and to the County Legislature

1	CEQ Meeting 120810
2	within 30 days of such proceedings.
3	MS. VILORIA-FISHER: But we haven't
4	been adhering to that in ten years.
5	MR. YOUNG: I know so we should
6	say, "We know the difficulty in what you
7	require us to do under that law." If
8	you want to do that.
9	CHAIRMAN SWANSON: So it's the
10	Legislature that has been providing the
11	stenographic proceedings?
12	MR. BAGG: It's all paid for out of
13	budget. It is probably \$25,000 to
14	\$30,000 a year for verbatim minutes for
15	all their commissions.
16	CHAIRMAN SWANSON: Any other
17	business?
18	MR. GULBRANSEN: Happy Holidays.
19	CHAIRMAN SWANSON: We are going to
20	have a tour of the house starting now.
21	MR. MARTIN: Do we want to
22	officially adjourn?
23	CHAIRMAN SWANSON: Yes.
24	MR. KAUFMAN: Motion to adjourn.
25	MS. RUSSO: Second.

1 .	CEQ Meeting 120810
2	CHAIRMAN SWANSON: All in favor?
3	(WHEREUPON, the Council voted to
4	adjourn.)
5	CHAIRMAN SWANSON: We're adjourned.
6	(WHEREUPON, the CEQ meeting of
7	December 8, 2010, was adjourned at 11:29
8	a.m.)
9	* * *
10	
11	
12	
13	
14	
15	
16	
17	
18	
19	
20	
21	
22	
23	
24	
25	

1	
2	CERTIFICATION
3	
4	STATE OF NEW YORK)
5	:ss
6	COUNTY OF SUFFOLK)
7	I, MELISSA POWELL, a Shorthand Reporter and
8	Notary Public of the State of New York, do hereby
9	certify:
10	That the within transcript was prepared by me and is
11	a true and accurate record of this hearing, to the best
12	of my ability.
13	I further certify that I am not related to any of the
14	parties to this action by blood or by marriage and that
15	I am in no way interested in the outcome of this matter.
16	IN WITNESS WHEREOF, I have hereunto set my hand this
17	day of <u>December</u> 2010.
18	
19	Melissa Powell
20	MELISSA POWELL
21	
22	
23	
24	